

DAY 9

NOVEMBER 21, 1995

**WESTRAY MINE**

**PUBLIC INQUIRY**

HEARD BEFORE: The Honourable Justice K. Peter Richard,  
Commissioner

PLACE: Stellarton, Nova Scotia

COUNSEL:

**Solicitors for the Commission:** Mr. J. Merrick, Q.C., Ms.  
J. Campbell, Ms. Ena MacDonald, document coordinator

**Solicitor for the Department of Justice Canada:** Ms. Lynn  
Gillis

**Solicitors for the Department of Justice Nova Scotia:**  
Messrs. R. Endres, Q.C., J. Traves, and Wm. Wilson, Q.C.

**Solicitor for the United Steelworkers of America and the  
Nova Scotia Federation of Labour:** Mr. David Roberts

**Solicitor for the Westray Families Group:** Mr. B. Hebert

**Representing the Town of Stellarton:** Mr. Clarence  
Porter, Mayor and Mr. Art Fitt, Town Councillor

**Representing the Canadian Union of Public Employees:** Mr.  
Robert Wells

**INDEX**

<u>Witness</u>	<u>Page</u>	<u>Volume</u>
<b>Dr. Malcolm McPherson</b>		
Examination by Commissioner	1542	9
Examination by Mr. Merrick	1545	9

1 November 21, 1995 - 9:33 a.m.

2 COMMISSIONER Good Morning.

3 ALL Good Morning.

4 **DR. MALCOLM J. MCPHERSON**, previously sworn, testified as  
5 follows:

6 EXAMINATION BY COMMISSIONER

7 COMMISSIONER Dr. McPherson, before you continue on with  
8 Mr. Merrick, there's a couple of things that I just want  
9 to clear up, some confusion I have in your testimony of  
10 yesterday.

11 One point you raised and I made notes about it, the  
12 ventilation infrastructure as set up in the Westray Mine,  
13 you indicated was adequate for the short life of the  
14 mine. Now I presume you mean by that it was adequate for  
15 the development of the mine as it had progressed up until  
16 the explosion?

17 A. Yes, sir.

18 Q. Okay. Had the explosion not occurred and had the  
19 development of the mine progressed according to whatever  
20 plans there were, can you project how long the  
21 ventilation system would have remained adequate?

22 A. I hesitate to project in terms of time, but in terms  
23 of the physical development of the mine, by the time they  
24 had opened up another two, maybe three sections, like the  
25 Southwest 1, Northwest 2, North, et cetera, then at that

DR. MCPHERSON, EXAM. BY COMMISSIONER

1 time they would be finding themselves a little short of  
2 availability of infrastructure air because of the  
3 limitations of the slopes, particularly.

4 Q. So the ventilation system as designed was not  
5 designed for the projected life of the mine?

6 A. I've seen no evidence of plans that predicted the  
7 further development of the mine beyond the first four  
8 years.

9 Q. Okay, fine. One other point that I'm sort of  
10 confused on. The ventilation system in place at Westray  
11 Mine was an exhaust system. The main fan was an exhaust  
12 fan.

13 A. It was an exhaust system, yes.

14 Q. There were segments of the auxiliary fan  
15 infrastructure within the mine that were of a forcing  
16 variety. Is that correct?

17 A. Those that I have examined, sir, I believe were all  
18 exhausting. There were small segments, yes, you're  
19 correct. There were small segments, as I indicated in  
20 the North section, there was a short force section, a  
21 force system in operation at that one place.

22 Q. Is that contradictory to the main system or  
23 complementary to it?

24 A. Neither, Mr. Commissioner. The auxiliary  
25 ventilation system is separate from the main

DR. MCPHERSON, EXAM. BY COMMISSIONER

1 infrastructure system in the sense that the main  
2 infrastructure is concerned with the progression of the  
3 major air flows through the main intakes, main returns.  
4 The auxiliary system deals with the ventilation of the  
5 headings that have no connection at the far end. So they  
6 are separate. They are different.

7 Q. So the fact that this was a forcing fan in one  
8 location doesn't mean very much in the big picture, does  
9 it?

10 A. With one rider, and that is you recall we talked  
11 about the recirculation that was taking place in the  
12 North part.

13 Q. In the north, yeah. That's the series.

14 A. Yes.

15 Q. Okay, yeah.

16 A. That recirculation was induced because of the out  
17 flow from the exhausting auxiliary fans projecting air in  
18 the same direction as the main infrastructure air flow to  
19 the extent that the return in that section of the mine  
20 was pressurized above the corresponding section of the  
21 intake, which is why recirculation took place.

22 Q. That made the recirculation, yes, because the air  
23 seeks lower pressure.

24 A. That is correct.

25 Q. Yeah, okay.

DR. MCPHERSON, EXAM. BY COMMISSIONER

1 A. So, in that sense, the out flow from those  
2 exhausting auxiliary fans was assisting the direction of  
3 the main through flow, assisting it too much to the  
4 extent that it was --

5 Q. That it was recirculating.

6 A. Pushing air back around, yes.

7 Q. Okay. And, of course, I think you said that the  
8 forcing, the ventilation system anticipated by the Nova  
9 Scotia legislation was a forcing system?

10 A. The legislation mandates a forcing system for  
11 auxiliary ventilation, yes, sir.

12 COMMISSIONER Okay, fine. Thank you. Mr. Merrick?

13 EXAMINATION BY MR. MERRICK

14 MR. MERRICK Dr. McPherson, just a couple of questions  
15 on that. To begin with, this business of whether they  
16 had the forcing system units as well, you described  
17 yesterday, and I'm going to use that bottom map, the  
18 colour-coded one, you described a forcing system in this  
19 heading, I forget the name of it.

20 A. Yes.

21 Q. It's the northeast heading, a very short one going  
22 past that crosscut. Were you able to find any other  
23 forcing auxiliary -- Sorry, were you able to find any  
24 other auxiliary fans in the forcing mode, or were you  
25 aware of any other auxiliary fans in the forcing mode?

DR. MCPHERSON, EXAM. BY MR. MERRICK

1 A. I don't recall seeing any, Mr. Merrick, in the  
2 forcing mode. I would like to re-examine the  
3 ventilation, the exhaust, the duct systems again before  
4 being positive about that, but having been through this  
5 several times, I don't recall any other forcing system  
6 specifically for the purpose of ventilating headings.

7 Q. All right. One question on the recirculation that  
8 was occurring in the North Mains. You've pointed out in  
9 answers to the Commissioner that there were a series of  
10 exhausting fans working around the top of the North  
11 Mains. They would not only create a high pressure in the  
12 return, but I would assume that they would be creating a  
13 lower pressure in the intake road leading up to them,  
14 would they?

15 A. It's not quite as simple as that, I'm afraid.

16 Q. All right, well, let's --

17 A. Do you want me to try to explain?

18 Q. No, that's fine. That was my physics 100 surfacing  
19 after a 25-year layover. While we're on the topic of the  
20 auxiliary fans though, there is one thing that I do want  
21 to just supplement from yesterday. You will recall that  
22 -- Just give me a second here. You will recall that in  
23 Exhibit 35-A, and we'll just turn to that for a second,  
24 at page --

25 A. 35-A?

DR. MCPHERSON, EXAM. BY MR. MERRICK

- 1 Q. 35-A at page 136. That was -- 37-A, I'm sorry.  
2 I've got 35 on the brain. 37-A.
- 3 A. And the page number again?
- 4 Q. 136.
- 5 A. Yes.
- 6 Q. That is the letter of October the 15th from Westray  
7 to the Nova Scotia Department of Labour seeking approval  
8 for auxiliary fans. And that letter refers to the fact  
9 that they're enclosing a copy of our ventilation plan.  
10 Yesterday when I took you through this letter, we didn't  
11 deal with the plan itself. You have in front of you on  
12 the desk a plan that's been marked Exhibit 75.
- 13 A. Yes, go ahead.
- 14 Q. Is that the ventilation plan that you understand was  
15 enclosed with that letter?
- 16 A. Yes, I believe this was the one.
- 17 Q. And it shows the development of the mine at that  
18 point in time at least down to just the very beginning of  
19 the Southwest entry, just down past 10 crosscut, is that  
20 correct?
- 21 A. Yes.
- 22 Q. So that the mine was still in its relatively early  
23 stages of development?
- 24 A. Yes.
- 25 Q. It shows fans and the type of fans in some of the

DR. MCPHERSON, EXAM. BY MR. MERRICK

1 headings just starting into the Southwest district?

2 A. Yes.

3 Q. And what kind of fan system does it show?

4 A. These are all exhausting fans into the headings.  
5 There is one forcing system that is not ventilating a  
6 heading but appears to be ventilating a section of what  
7 would otherwise be a through-flow circuit which has been  
8 blocked.

9 Q. That's up in the Southwest?

10 A. In the Southwest, yes.

11 Q. What heading is that? Can you identify the road on  
12 that?

13 A. The headings are not numbered on this plan, but I'll  
14 try to identify it on the larger plan. Okay, if you go  
15 up the slopes, the short -- the length of forcing ducting  
16 was around this corner.

17 Q. So that's coming off C-1 road around onto Southwest  
18 Mains 2, according to the diagram under tab 11 of Exhibit  
19 45?

20 A. Yes.

21 COMMISSIONER Southwest Mains 2?

22 MR. MERRICK Southwest Mains 2. In fact, your diagram  
23 right at the top, it's a little larger.

24 A. Yes, this shows it rather nicely. The length of  
25 forcing fan ducting was around this corner and the

DR. MCPHERSON, EXAM. BY MR. MERRICK

1 blockage I referred to, which is shown on the ventilation  
2 schematic is also shown on this map here. Two letters B.  
3 Q. Yes, you're referring to the map that appears at  
4 Exhibit 45, tab 11, the blow-up of the Southwest  
5 district.

6 A. Thank you.

7 Q. Okay. So that's the ventilation plan that was sent  
8 into the Department.

9 COMMISSIONER Exhibit 45, tab?

10 MR. MERRICK 11, the blow-up of the Southwest district.  
11 It's the map, exhibit book version of the map the witness  
12 is referring to. Now when they sent that letter in, the  
13 only thing they were showing, that was about the full  
14 extent of the Southwest district development that was  
15 shown on that map, if I'm correct.

16 A. Yes.

17 Q. Would they have needed and been using auxiliary fans  
18 prior to that request to the Department for  
19 authorization?

20 A. Yes, sir.

21 Q. Why would they have needed auxiliary fans if they  
22 were just starting into the Southwest headings at that  
23 point?

24 A. In order to make the drivages in any development, it  
25 is clearly necessary, if you refer to any section of any

DR. MCPHERSON, EXAM. BY MR. MERRICK

1 of the plans, it is necessary, for example, right here  
2 before we got to this stage, to drive forward on this  
3 one, to drive forward on this one before they could form  
4 the crosscut. In other words, during the development of  
5 this or any other mine, there are times, inevitably, when  
6 blind headings have to be put forward. Those blind  
7 headings can only be ventilated by some form of auxiliary  
8 ventilation.

9 Q. And that would be equally true to driving the main  
10 entries; for example, just out by No. 9 crosscut on the  
11 two mains before they had formed the No. 9 crosscut; they  
12 would have had two blind headings.

13 A. Yes, and, indeed, that would be the case all the way  
14 down the slopes when they were driving those.

15 Q. So they must have been using auxiliary ventilation  
16 of some form even prior to this application?

17 A. Yes.

18 Q. All right. Let me take you back now to where you  
19 left off in your evidence last day. We had been talking  
20 about the North Mains and the recirculations that were  
21 occurring there, and you expressed your opinion as to the  
22 ventilation system that was being used. Can I take you  
23 to Exhibit 37-A, the Manager's Safe Working Procedures,  
24 particularly at page 119? This is that set of rules that  
25 we looked at yesterday.

DR. MCPHERSON, EXAM. BY MR. MERRICK

1 A. Yes.

2 Q. And at the bottom of page 119, there is the  
3 reference to series ventilation and "The rule is that  
4 series ventilation will only take place when the dilution  
5 ratio is not less than three to one of intake to return  
6 air (See Diagram 7) or when the maximum concentrations of  
7 the following are not exceeded. If any one of the above  
8 are exceeded, series ventilation will not take place."

9 What do you say as to the adequacy of that rule in  
10 dealing with series ventilation?

11 A. The rule immediately above, Rule 5, refers to the  
12 quantity of air being taken by the auxiliary fan will not  
13 exceed 30 percent of the quantity passing the auxiliary  
14 fan. That is within the 40 percent limit mandated by the  
15 law. So with that in mind, now move on to Rule No. 6. I  
16 think, Mr. Merrick, we do have to refer to the diagram  
17 that is referred to on this page, Diagram 7.

18 Q. That's over on page 132?

19 A. 132. Diagram 7 is showing a forcing auxiliary  
20 system. We referred to this one yesterday. It is  
21 showing some examples of air flows. In this case, we see  
22 an air flow of 22.5 cubic meters per second progressing  
23 along the intake, the left side entry. The diagram is  
24 depicting one-third of this, 7.5 cubic meters per second,  
25 being taken by the first auxiliary fan into what is shown

DR. MCPHERSON, EXAM. BY MR. MERRICK

1 there as No. 1 heading. That leaves 15 cubic meters per  
2 second to progress onwards past the fan but not through  
3 it at 15 cubic meters per second, then joins with the 7.5  
4 returning from the heading to give again the 22.5 through  
5 the crosscut.

6 Now I've taken you through those numbers in order to  
7 come back to paragraph six on page 119.

8 COMMISSIONER Excuse me, before you come back there,  
9 Doctor, you say the 15 would go up to the crosscut and it  
10 will bypass the fan, go to the crosscut and then will  
11 take a right, eh?

12 A. Take a right and be joined --

13 COMMISSIONER By the 7.5.

14 A. By the 7.5.

15 COMMISSIONER Where did that 7.5 come from then?

16 A. That 7.5 initially was taken by the fan, taken  
17 through the ducting up to the face of the heading.

18 COMMISSIONER But how did it then get over to two?

19 A. This is a blind heading, Commissioner.

20 COMMISSIONER Yeah.

21 A. So coming out of the end of the duct up at the face  
22 will be 7.5. The only place it can go is back along  
23 there.

24 COMMISSIONER Okay, I've got it. Thank you.

25 DR. MCPHERSON Proceed?

DR. MCPHERSON, EXAM. BY MR. MERRICK

1 MR. MERRICK Keep going, yes.

2 A. So coming back to page 119 now and let us take  
3 another look at this paragraph, this Rule 6. Series  
4 ventilation will only take place when the dilution ratio  
5 is not less than three to one of intake to return air.  
6 Now what does that mean? Three parts intake to one of  
7 return. Is the three parts intake referring to the 22.5  
8 cubic meters per second or is it referring to the 15  
9 cubic meters per second, which is the intake going into  
10 the crosscut?

11 Q. So as I understand your problem, his text that says  
12 that you can do it provided the dilution ratio is not  
13 less than 3.1. When the air divides and one-third of it  
14 is taken by the auxiliary fan, that's one-third to two-  
15 thirds. But when it comes back out and it's diluted,  
16 it's now a ratio of two to one.

17 A. Two to one.

18 Q. So that it's 7.5 cubic meters being mixed with 15  
19 cubic meters, which gives a two to one ratio.

20 A. That is our problem.

21 Q. And I would assume that his text would have to refer  
22 to the ratio when the mixing is reoccurring or when the  
23 mixing is occurring with the return air coming out of the  
24 No. 1 heading. So his diagram and his text don't mesh.

25 A. The problem I find with it is that this paragraph is

DR. MCPHERSON, EXAM. BY MR. MERRICK

1       ambiguous. It is not clear.

2       Q.       Certainly the intent of the paragraph, I would  
3       assume, would be to lay down the restrictions as to the  
4       ratio when the air is coming back out of the heading,  
5       because that's the critical mixing point, isn't it?  
6       That's where you're going to get some degree of methane  
7       coming back out.

8       A.       Yes.

9       Q.       All right, so we've got a problem with the Manager's  
10       Rules with that. What about the rest of the rule? For  
11       example, you see where he says that series ventilation  
12       should not take place when methane level is in excess of  
13       .75 or 75 percent.

14       A.       .75 percent.

15       Q.       .75 percent, sorry. What do you say as to that?

16       A.       Well, we have a plethora of information from  
17       foremen's reports that concentrations in excess of .75  
18       were measured on a number of occasions in the headings.  
19       We also have numerous indications of the continuous  
20       miners having to be stopped or stopping because of gas  
21       problems. It would seem that this rule referring to  
22       series ventilation not being used when the methane  
23       exceeded .75 percent was not followed.

24       Q.       So that part of it was not followed. Let me take  
25       you back to a second to the one-third -- one to three

DR. MCPHERSON, EXAM. BY MR. MERRICK

1 mixing ratio that this diagram at least -- sorry, that  
2 the text seems to mandate that the diagram conflicts  
3 with.

4 On your review of the auxiliary ventilation that  
5 they were doing, are you able to tell us whether they  
6 were always staying within the confines of this Manager's  
7 Rule in relation to a three to one mixing ratio?

8 A. Mr. Merrick, I would have to check the numbers one  
9 by one to each of the ventilation so-called "surveys" to  
10 answer that.

11 My sense is that in the Southwest section that there  
12 was, indeed, sufficient air flow in the infrastructure to  
13 comply with this 30 percent, this 3.1. For two reasons I  
14 say that. One because, and let me repeat myself, that  
15 the through-flow ventilation system was adequate in the  
16 Southwest coupled with the fact there was so little air  
17 flow going through the headings anyway that it would not  
18 have been difficult to vastly exceed the three to one or  
19 the 30 percent ratio.

20 In the North workings, we have the complication of  
21 the recirculation that we talked about yesterday. So we  
22 are not at all certain on the degree of through-flow  
23 fresh air that was taking place up there.

24 Q. So that would be very hard to determine because, as  
25 you pointed out to us, we had recirculation in various

DR. MCPHERSON, EXAM. BY MR. MERRICK

1 locations, not just around the very North part, I guess  
2 that's through -- that was an unnamed crosscut inbye No.  
3 4 crosscut, but we also had recirculation going in  
4 through No. 4 crosscut. And we also had recirculation  
5 going in through No. 2 crosscut.

6 A. Yes, sir.

7 Q. So that at almost every crosscut, there was  
8 recirculation occurring.

9 A. And in the Southeast as well.

10 Q. And in the Southeast as well. All right. You have  
11 reported -- You have stated in your report at page 12,  
12 this is tab 3, page 12, that in Section 3.3.1, headings  
13 ventilated in series, you make reference to the fact that  
14 they had been increasing the blade settings of the main  
15 fan, and you say that that seems to have occurred on two  
16 occasions. Once, I guess, towards the end of March.

17 COMMISSIONER Where are you reading that, Mr. Merrick?

18 MR. MERRICK Down in the bottom paragraph, page 12 of  
19 the report, middle of that paragraph.

20 COMMISSIONER 3.3.1?

21 MR. MERRICK Yes.

22 COMMISSIONER Okay.

23 MR. MERRICK About the middle of the paragraph, it  
24 says: "During February and March '92, the ventilation  
25 survey maps from Westray indicate periods when three or

DR. MCPHERSON, EXAM. BY MR. MERRICK

1 four headings appear to have been ventilated in series,  
2 Increasing the blade setting of the main fan from 17 to  
3 27 degrees towards the end of March provided enhanced air  
4 flows in the ventilation infrastructure."

5 Let me take you to the first change that is  
6 recorded. Going again to 37-A, if you can turn to pages  
7 47 and also 52. Both pages, the first one on page 47 is  
8 a note entitled "Ventilation Survey, February 26, 1992."  
9 The second is one of their purported ventilation surveys,  
10 again as of February 26th. On page 47, we see where the  
11 blade angle on the main fan changed from 12 degrees to 17  
12 degrees since the last survey. Can you tell me what they  
13 were doing there?

14 A. The purpose of increasing the blade angle, this is a  
15 mechanism by which the pressure volume duty of the fan  
16 can be adjusted. If you imagine, Mr. Merrick, the blades  
17 of an airplane propeller, you'll notice that those are at  
18 an angle and actually twist as one comes along from the  
19 root to the tip of the blade. An axial flow mine fan,  
20 the type they were using at Westray, operates at a  
21 similar manner. Now by actually altering the angle of  
22 the blade, here is the hub, here is the air flow, by  
23 actually altering the angle of that blade, one can change  
24 the volume flow and pressure characteristics for any  
25 given resistance that the fan is faced with.

DR. MCPHERSON, EXAM. BY MR. MERRICK

1           So by altering, in this case increasing the blade  
2 angle, they were able to increase the air flow passing  
3 through the fan, the main fan, and therefore, the mine.

4           Why were they doing that was your question. We can  
5 only assume that they wished to increase the total amount  
6 of air going around the main infrastructure of the  
7 ventilation system, and the reasons they wished to do  
8 that presumably were concerned with what they regarded as  
9 inadequate air flows through that main infrastructure.  
10 We have the problem, again, of the recirculation that  
11 they were clearly conscious of in the North workings with  
12 returns which were at a higher pressure than the intakes.

13           One approach to that would be to increase that  
14 pressure from intake to the return in the correct  
15 direction by beefing up the main fan system. That is one  
16 reason that I can think of why they may have wished to  
17 have done that.

18           The other reason, of course, is that as, and this is  
19 quite normal, as a mine does progress and opens up more  
20 areas requiring more air, then adjusting blade angle is  
21 one of the ways of increasing the total ventilation  
22 through the mine.

23 Q.   In your report, under tab three, you have a table at  
24 page nine in which you have logged the air flow, intake  
25 air flow measurements based on those ventilation air flow

DR. MCPHERSON, EXAM. BY MR. MERRICK

1 measurements that were recorded by Westray. And does  
2 that blade change on February the 26th reflect itself in  
3 your air flows?

4 A. Yes, sir. If you look at the entry on that table  
5 for February 19, you'll see the air flow in the main  
6 slopes, and I've identified where these specific  
7 measurements were made. This was the air flow in the  
8 main slopes in the vicinity of Crosscut 9, towards the  
9 bottom of the slopes. On February the 19th that air flow  
10 was 144,000 cubic feet per minute, and one week later it  
11 had jumped up to 176.7. That was a reflection of the  
12 blade angle being increased from 12 to 17 degrees.

13 Q. So the -- that demonstrates the improved performance  
14 that can be achieved by changing the blade angle on your  
15 main fan?

16 A. Yes.

17 Q. And subsequently we see another jump at the end of  
18 March, or between March 18th, '92 and April 2nd, '92, and  
19 that would reflect the second adjustment that took the  
20 fan angle up to, what was it, 27 degrees, I guess. So  
21 that would be consistent with improved performance by  
22 adjusting your main fan?

23 A. Yes.

24 Q. Let me just come back for a moment to your opinion  
25 as to what they were trying to do. And I just want to

DR. MCPHERSON, EXAM. BY MR. MERRICK

1 make sure I understood what you told us a second ago.

2 We've seen in the ventilation reports that we went  
3 through yesterday that during this period of time they  
4 were logging air flow through the crosscuts up in the  
5 North Mains, air flow going from the return into the main  
6 intake. So what you're saying is that it -- that might  
7 have been at least one of the reasons that they were  
8 hoping to increase the pressure in the intake side of  
9 that circuit and thus reduce or get rid of that short  
10 circuiting, that air flow through the cross -- through  
11 the stoppings?

12 A. That is one reason, yes.

13 Q. Okay. I take it that it does indicate some attempt  
14 to solve the problems that they were experiencing?

15 A. Yes, sir.

16 Q. Okay. Now do you want to move on or are you looking  
17 for something you want to give me?

18 A. The other thing that was going through my head, Mr.  
19 Merrick, was that increasing concerns about gas  
20 concentrations in the headings and the vicinity of the  
21 headings, would have been another impetus for the  
22 management to want to increase the main through-flow, the  
23 infrastructure.

24 Q. Yes. And were there reports periodically of gas  
25 readings in the headings or in the vicinity of the

DR. MCPHERSON, EXAM. BY MR. MERRICK

1 headings that would indicate that they had that kind of  
2 situation?

3 A. That's what I was looking for actually.

4 Q. What about April the 8th?

5 A. That's the one I'm looking at right now.

6 Q. That's at page?

7 A. 79.

8 Q. 79. Yes?

9 A. Glancing down the concentrations of methane that  
10 were measured, one can see that in some cases these would  
11 give reasons for concern. There's a four per cent  
12 concentration of methane measured in the Southwest 4  
13 Crosscut B Road.

14 Q. When it says "near back," what does that mean?

15 A. Near the roof, an indication of layering taking  
16 place.

17 Q. In fact, if you'll turn to page 24 of your report,  
18 that's part of a table that you've compiled for us in  
19 which you've gone through the reports and merely pulled  
20 out incidents of various categories. And on page 24 of  
21 your report we see April the 8th, and they seem to have  
22 logged two separate occasions when they had a gas problem  
23 in that heading.

24 A. Yes.

25 Q. At nine to nine -- somewhere in the morning at --

DR. MCPHERSON, EXAM. BY MR. MERRICK

1       sorry, 9:00 p.m. they had to de-gas and again at 3:20 to  
2       4:20 a.m. they had to de-gas the heading. What do you  
3       understand is meant by "de-gas"?

4       A.    De-gassing procedures are referred to in the  
5       management safe working procedures. If a heading, for  
6       any reason, becomes filled or near-filled with methane or  
7       any other gas, we're talking about methane here at  
8       Westray, then that gas must be cleared from the heading  
9       according to a specified procedure. It's particularly  
10      important and particularly hazardous in situations of  
11      incline workings, again, as we have at Westray, because  
12      the methane is such a light gas it will readily collect  
13      and fill up headings that are going to the rise. And  
14      what I'm going to describe can and does occur also on the  
15      level, and it's accentuated by rise workings.

16            If the auxiliary ventilation is insufficient, and  
17      particularly if it is switched off for a period of time  
18      in a gassy heading, then that heading may well become  
19      filled with this explosive gas. Taking the gas out of  
20      that heading is the process of de-gassing. Now one  
21      cannot simply switch on the auxiliary fan, for two  
22      reasons. First of all because that would put a plug of  
23      high concentration methane into the main through-flow  
24      system, and that would be exceedingly dangerous to have a  
25      plug of high concentration gas inevitably going through

DR. MCPHERSON, EXAM. BY MR. MERRICK

1 the explosive region proceeding through the main  
2 infrastructure of the mine.

3 The second reason that one cannot simply switch the  
4 fans on is that when one is -- particularly when one is  
5 using an exhausting system of auxiliary ventilation as  
6 they were at Westray, that would mean that that very high  
7 concentration of gas would be pulled through and over the  
8 fan and the fan motor. These fan motors should be  
9 flameproof in a gassy mine, but even so, there is still a  
10 danger associated with pulling an explosive mixture over  
11 any electrical apparatus. So because of that, the de-  
12 gassing procedure consists of moving that gas out in  
13 small increments in a very controlled manner. It takes  
14 time; it is a dangerous procedure, and it has to be done  
15 with great care and skill.

16 Q. How do they move it out in increments if you can't  
17 just switch on the fan?

18 A. The -- there are several ways of doing it. The  
19 method which I believe is included within the manager's  
20 safe working procedures is to have the fan duct with  
21 bleed-off, think of it as a large bleed-off valve, at the  
22 side, and with a restriction on the main length of duct  
23 that is coming from the heading. Isolate the main length  
24 of ducting by this blanking off piece. Open the bleed at  
25 the side. Switch the fan on. The fan is taking

DR. MCPHERSON, EXAM. BY MR. MERRICK

1 relatively fresh air from the bleed at the side and one  
2 gradually and very carefully opens up the regulator on  
3 the main length, taking in small increments, gas flow  
4 through the main ducting. And the monitoring of the  
5 methane, of course, has to take place continuously  
6 downstream of the process.

7 Q. All right. Thank you.

8 COMMISSIONER Just with respect to page 24, this might  
9 be just a typo, but it shows on April 8th Southwest A and  
10 B, "9:00 to 9:40 vent tube installed and de-gassed." And  
11 then it goes, "3:20 to 4:20 a.m." I'm wondering if that  
12 should be under the 9th?

13 A. I believe de-gassing procedures took place twice on  
14 that shift, Commissioner.

15 COMMISSIONER Well, okay. But time-wise, that would  
16 have -- that 3:20 to 4:20 a.m. would have been on the 9th  
17 wouldn't it? To follow in sequence.

18 A. [No audible response]

19 COMMISSIONER Do you follow me?

20 A. Yes.

21 COMMISSIONER Yeah.

22 MR. MERRICK Maybe what we can do is turn to the shift  
23 reports themselves. They're in 37-B at about page 79 or  
24 thereabouts, and we can find the entry for --

25 COMMISSIONER 37-B?

DR. MCPHERSON, EXAM. BY MR. MERRICK

- 1 MR. MERRICK 37-B.
- 2 COMMISSIONER "B". Okay.
- 3 MR. MERRICK Now this would be April that we're talking  
4 about.
- 5 COMMISSIONER I don't know if anything turns on that,  
6 Mr. Merrick, but it seem perilously close to the time  
7 when the --
- 8 MR. MERRICK Oh, now this is April.
- 9 COMMISSIONER Oh I'm sorry. That's right. Yes, we're a  
10 month off. Yeah. I'm sorry.
- 11 MR. MERRICK So that it may well be --
- 12 COMMISSIONER Yeah.
- 13 MR. MERRICK Just a minute now while I find the thing.  
14 A. Can I refer you to page -- I can't see page numbers  
15 on these.
- 16 Q. Somewhere around 83?
- 17 A. It's coming earlier. What's this page number,  
18 Cynthia?
- 19 THE CLERK You have to find --
- 20 A. 10?
- 21 THE CLERK Yeah, it's 10.
- 22 A. Page 10.
- 23 MR. MERRICK Of 39-B?
- 24 A. Yes.
- 25 VOICE 37-B.

DR. MCPHERSON, EXAM. BY MR. MERRICK

- 1 MR. MERRICK 37-B rather.
- 2 A. 37-B.
- 3 Q. Page 10, yeah. Okay.
- 4 A. Three line --
- 5 Q. Yes?
- 6 A. Can I go on?
- 7 Q. Yes.
- 8 A. If you look at the time, the "From/To" on the left-
- 9 hand side. Left-hand side of the page.
- 10 Q. Yes.
- 11 A. Nine o'clock to 9:40. Read across. "Install vent
- 12 tube in A and B Headings and de-gas." That is the 9:00
- 13 to 9:40 de-gassing. And further down, "3:20 to 3," --
- 14 "...to 4:20 de-gassing A Heading."
- 15 Q. Yes.
- 16 A. So those are the two references to de-gassing in
- 17 that particular block.
- 18 Q. So that second incident occurred on that shift, but
- 19 it may have been the next day?
- 20 A. The next day in the sense that it was past midnight,
- 21 yes.
- 22 COMMISSIONER Yes.
- 23 MR. MERRICK Yes. Same shift?
- 24 A. Yes.
- 25 Q. Do you know where the gas was coming from that they

DR. MCPHERSON, EXAM. BY MR. MERRICK

1 were having the problems with?

2 A. [No audible response]

3 Q. Would this be gas that was -- do you know if that  
4 was gas coming in from the old Southwest 1 District that  
5 they were having to cope with?

6 A. Now can we determine where these A and B Headings  
7 were? Where are we referring to here exactly? Southwest  
8 1. So this was in the old Southwest 1 before they drew -  
9 - came out of it.

10 Q. We'll -- actually, we'll have evidence from the  
11 miners themselves that will --

12 A. Okay.

13 Q. -- probably clarify that. All right.

14 A. But we're talking about somewhere up here.

15 Q. Well, if it was April, it would be in the Southwest  
16 2 District because they came out of there at the end of  
17 March.

18 A. Ah-hah. I was looking at the top right-hand corner  
19 of page 10, the district is denoted as Southwest 1.

20 Q. Yeah.

21 A. Was that a mistake?

22 Q. They're probably using that to designate the whole  
23 of the area still at that time.

24 A. All right.

25 Q. Okay.

DR. MCPHERSON, EXAM. BY MR. MERRICK

1 A. Can I try to answer your question about where the  
2 gas was coming from?

3 Q. Yes.

4 A. Presumably, the fact that they were installing a  
5 vent tube indicates that actual coal mining was not  
6 taking place prior to that. It being unventilated. The  
7 fact that it filled up with gas and they had to engage in  
8 de-gassing would mean that that methane gas would be  
9 coming from the standing face and the rib sides and any  
10 coal that was left in the roof and/or floor.

11 Q. And if it wasn't coming from there, it would be from  
12 -- could have been coming from either that or coming in  
13 from the old working that they were in. They say "A  
14 Heading" and I assume that that could be the Southwest 2  
15 A Road, but we'll clarify that from the people that were  
16 there. Yeah.

17 A. The A and B Roads are both going at -- upwards at an  
18 inclination of 13 degrees, so that would certainly  
19 assist, if that's the correct word, in those headings  
20 being gassed out.

21 Q. Okay. Let me pick up again where we were. You've  
22 told us about the ventilation circuits and the problems  
23 that we've had with it; you've referred us to the shift  
24 reports that -- and the ventilation measurements that  
25 were taken that refer to gas readings. Just give me your

DR. MCPHERSON, EXAM. BY MR. MERRICK

1 conclusions or your understanding, if you will, on the  
2 problems that they were having with monitoring the gas  
3 levels.

4 To begin with, let's start with the main environment  
5 system and just your brief comments on it. This had four  
6 sensing locations, four automatic sensing locations that  
7 we've heard about, two very close to each other down at  
8 the North Mains at the very extremities of the mine and  
9 two in the vicinity, general vicinity, of the 10  
10 Crosscut. Well, one in the vicinity of the 10 Crosscut.  
11 One little a further up the return. From what you have  
12 read about the monitoring system, what can you tell us as  
13 to how new these kinds of systems are, how frequently  
14 they've been used and, generally, how reliable they are?

15 A. Environmental monitoring in underground mines has  
16 been under development and continues to be under  
17 development. The early -- earlier systems date back to  
18 oh, the 1960s or so. Environmental monitoring in  
19 underground workings is considerably more difficult than  
20 it is in surface locations, buildings, for example. The  
21 reasons for that are because of the arduous environmental  
22 conditions that exist, the physical conditions, the  
23 possibility of pieces of rock, if not large falls of roof  
24 taking place. The wiring systems. The signals pass  
25 through wiring systems which have to be protected much

DR. MCPHERSON, EXAM. BY MR. MERRICK

1 more substantially than they would be in surface  
2 locations. So the physical environment is not conducive  
3 to a sensitive transmission -- transmission of sensitive  
4 electrical signals. That is one reason.

5 The second reason is that a modern mine is a  
6 consumer, a considerable consumer, of electrical power.  
7 So we have high voltage, high power equipment being used  
8 in modern mines and a mixture of high power, heavy  
9 current and light current signals as we're using for data  
10 transmission. Those two do not mix very well. Light  
11 current transmissions, data transmission systems, are  
12 particularly sensitive to small variations in voltage.  
13 So that is a second reason for underground environmental  
14 systems being more difficult than in surface locations.

15 Your question about the newness of this particular  
16 system. I understand that it had been installed fairly  
17 recently before the mine finished, and I also understand  
18 that it was the first system of its kind to be used in  
19 Canada. These systems do take some time to settle down,  
20 not only for the two reasons that I gave, but there's a  
21 third reason and that is that the personnel should be  
22 adequately trained in interpreting the signals,  
23 maintaining the system. And we're talking not only about  
24 maintenance of the wiring and the monitors, the actual  
25 transducers underground, but also the computer control,

DR. MCPHERSON, EXAM. BY MR. MERRICK

1 the hardware and the software, maintained in the surface  
2 control. We are talking about a fairly sophisticated  
3 system.

4 So for all of these reasons, Mr. Merrick, one can  
5 expect there to be a period, a settling down period,  
6 which may be several months, when the people are getting  
7 used to the system and, indeed, the system itself is  
8 settling down to that particular geographical location.

9 Q. So that if later on we were to take a look at  
10 printouts or logs or readings from this main  
11 environmental measuring system, we should not be  
12 surprised if it was showing a series of false or off  
13 errors or shut downs or readings that would seem to be  
14 electrical explained by something else other than what  
15 they were intending to monitor?

16 A. Precisely.

17 Q. And when you say an environmental monitoring system,  
18 we're now talking about this automatic fixed location  
19 sensing system that can be read in a central location on  
20 a continuous basis?

21 A. Yes.

22 Q. That is something that didn't exist prior to the  
23 '60s, you say? Generally.

24 A. It has been under development. The early systems of  
25 the '60s were very crude and even less reliable, much

DR. MCPHERSON, EXAM. BY MR. MERRICK

1 less reliable than the ones we have today.

2 Q. So in mines that do not have this automatic,  
3 continuous monitoring system, the traditional way had  
4 always been then, I take it, just by your hand-held  
5 measurements that you would take using your held -- hand-  
6 held instruments?

7 A. That is correct.

8 Q. To what extent could you describe this system, to  
9 the extent that you've read about it in our data, as  
10 being state of the art?

11 A. It was a modern system.

12 Q. All right.

13 COMMISSIONER Can I just pursue that for just a moment?  
14 Are you saying that in the early stage the settling down  
15 period for that system, whether it be settling down  
16 because of the system itself or because of the employee  
17 getting used to the system, that you couldn't depend on  
18 the readings?

19 A. That is correct. That is exactly what I'm saying,  
20 Commissioner.

21 COMMISSIONER So -- okay. As the system settles down  
22 you still have the same electrical interference from the  
23 heavy voltage equipment. How does that settle down?

24 A. When these problems have revealed themselves, then  
25 steps can be taken, just like the surge protectors on our

DR. MCPHERSON, EXAM. BY MR. MERRICK

1 computers nowadays, to emplace devices such as this at  
2 the strategic locations within the hardware system to  
3 help to iron out these problems. But where such devices  
4 are placed and how they're utilized, one gains from  
5 experience and must vary from location to location.

6 COMMISSIONER Okay. So it is just a question of  
7 adjusting the system to account for these things?

8 A. Yes, sir.

9 COMMISSIONER Okay. Thank you.

10 A. May I add one further thing here. When faults do  
11 arise on the system during this, or at any other time,  
12 these faults are often reflected as the system going off-  
13 line, there being no signals being recorded --

14 COMMISSIONER I see. Okay.

15 A. -- at all. When they are operating, then the  
16 signals that are received and being recorded may well be  
17 adequate and accurate. So this is not a matter of the  
18 signals giving false readings so much as them going on  
19 and off.

20 COMMISSIONER I see. You either get accurate readings  
21 or not at all?

22 A. You either get accurate readings or you get a fault  
23 indication that there's something wrong with the monitor  
24 or you get no signal at all which means the line is  
25 broken or it's switched off.

DR. MCPHERSON, EXAM. BY MR. MERRICK

1 COMMISSIONER Okay. Thank you. That's what I wanted to  
2 clear up.

3 MR. MERRICK So that you're either getting a reading  
4 that you can rely on you're getting a reading that you  
5 can't put any reliance on?

6 A. Yes, sir.

7 Q. You can't -- usually, you cannot say that this  
8 reading doesn't make sense, but by looking at it very  
9 carefully we can figure out what it means?

10 A. We can attempt to do so.

11 Q. All right. You say that training is an important  
12 aspect. Training on how to use the system. How  
13 complicated it is? I mean, what sort of degree of  
14 training generally would you need for that kind of a  
15 thing?

16 A. I would have to give you a general answer, Mr.  
17 Merrick. I'm not personally familiar with the controls,  
18 the hardware or the software, of this particular system  
19 so I cannot speak with authority on this specific item.  
20 But as in all sophisticated procedures and equipment,  
21 training of the personnel who are required to maintain it  
22 and interpret the readings would obviously seem to be  
23 important.

24 Q. It would seem to me then it would be particularly  
25 critical in the settling down phases because you would

DR. MCPHERSON, EXAM. BY MR. MERRICK

1 need somebody there sufficiently knowledgeable and  
2 capable to be able to figure out what adjustments to  
3 make. If there were changes to the hardware, that you  
4 mentioned a moment ago, there would have to be somebody  
5 there that would know how and where to do this?

6 A. This would seem to make sense, yes.

7 Q. I take it that the installation of a system like  
8 this indicates something about the mindset of management.  
9 I would presume this is a positive step in relation to  
10 looking after the health and safety of the mine.

11 A. Yes, indeed.

12 Q. This is an expenditure of money that not every mine  
13 has done and this mine did.

14 A. Yes.

15 Q. Let me, and we'll come back in a minute to some of  
16 the readings that occurred on this main system  
17 immediately prior to the explosion itself, and we'll keep  
18 your comments that you've just given to us in mind. But  
19 before we do that, I just want to take a look at some of  
20 the other problems that they were having with their  
21 monitoring or safety systems in the mine itself.

22 To begin with, you went through the shift reports  
23 and picked out a series of incidents. In fact, in your  
24 report, at pages 31 and following, under tab 3, you've  
25 got a section there that's entitled "Problems with

DR. MCPHERSON, EXAM. BY MR. MERRICK

1 Methane Sensors and Emergency Stop Buttons on the  
2 Machines."

3 A. Yes.

4 Q. And you refer to a number of the reports or entries  
5 on a number of the reports: March 20th, 31st, April  
6 10th, April 16th, et cetera. And all of those we can  
7 look at ourselves, but I want to look at some of the ones  
8 that you particularly highlighted for us.

9 Your first one, you're talking about an entry on  
10 April the 1st the you've quoted by Mr. Ellis where he  
11 states "Emergency stop to be shorted out left side of  
12 2,000 continuous miner. I do not agree with this order.  
13 Further information needed."

14 If you can look to Exhibit 37-B, I believe at page  
15 81, is the underground maintenance foremen's shift  
16 report, and where on that did you draw that comment from?

17 A. Just over half-way down the page under the heading  
18 "Action Items Electrical."

19 Q. This is a report by Mr. Ellis?

20 A. Yes, sir.

21 Q. So that's where you got your quote?

22 A. Yes.

23 Q. You aren't able to determine -- I take it there's no  
24 further information in the report that explains his  
25 comment and, in particular, his comment "I do not agree

DR. MCPHERSON, EXAM. BY MR. MERRICK

1 with this order."

2 A. The four lines -- the three lines we're looking at  
3 appear to be the only reference to this on this  
4 particular page.

5 Q. In your report, you go on to refer to a second entry  
6 that says "Disconnected emergency stop button," and if  
7 you turn to page 83.

8 A. Yes.

9 Q. You're suggesting that that is probably the same  
10 shift?

11 A. The report signed by Mr. James, Larry James?

12 Q. Yes.

13 A. On page 83. Is dated 4-92. The month and the year.  
14 The day is not given. But by its location within the  
15 dossier of these reports, this is the location in which  
16 it appears, and one assumes it was following on.

17 Q. We see on the immediately preceding page, page 82,  
18 another report by Mr. Ellis. This would be on April the  
19 2nd.

20 A. Correct.

21 Q. And in the same place in the report, he now enters  
22 "2000 continuous miner emergency stop shorted out."

23 A. Yes.

24 Q. So that the following shift, he apparently shorted  
25 out the emergency stop. Do you have any other

DR. MCPHERSON, EXAM. BY MR. MERRICK

1 explanation as to that other than what you've seen on the  
2 documents so far?

3 A. I raise a question in my report with respect to Mr.  
4 Ellis' second report. If we come back to page 81, he is  
5 indicating there that he has been given some kind of  
6 instruction that the emergency stop on machine 2000  
7 should be shorted out, and he's indicating his disquiet  
8 with that instruction.

9 On the following day, turning over one age, as you  
10 indicated, he simply states in his report, "2000  
11 continuous miner emergency stop shorted out." Now what  
12 does that mean? Does that mean that he shorted it out or  
13 it had been shorted out?

14 Q. Indeed, he may have been reporting that something  
15 that he refused to do the previous shift had now been  
16 done.

17 A. That is my question, yes.

18 Q. Hmm. Let me now take you to that page 83, the one  
19 we looked at for just a second that is undated as to day.  
20 This is a report by Larry James and tell us what you  
21 found that's significant in that report?

22 A. Well, if you look at the second line down -- Let's  
23 look at the first line down. Equipment appears to have  
24 been initially written as 2002.

25 Q. Just a second now. Let me take a look at that.

DR. MCPHERSON, EXAM. BY MR. MERRICK

1 COMMISSIONER Where are we?

2 MR. MERRICK Page 83, top left-hand corner, we have the  
3 equipment description, and Dr. McPherson has just said it  
4 looks like somebody had originally written 2002 and then  
5 subsequently added another little curve on the bottom of  
6 the two to make it read three. All right, keep going.

7 A. And the original location seems to have been  
8 Southwest, SW, which has been crossed out and "NE,"  
9 presumably Northeast, inserted. And in the remarks  
10 column, "Internal examination carried out. Disconnected  
11 emergency stop button."

12 Q. Hmm.

13 A. And I raised some questions about this report.

14 Q. All right, just give them to me because we'll make  
15 sure those questions are answered.

16 A. My question number one is: Is this machine that has  
17 had its emergency stop button disconnected, are we  
18 talking about one machine here? If so, is it Machine  
19 2000? Is it 2002? Or is it 2003? Or did more than one  
20 machine have its emergency stop button shorted out?

21 Q. And possibly if it is continuous miner No. 2000, is  
22 one foreman reporting that he doesn't want to do it and  
23 another reporting that he did it and the first one  
24 reporting in the next report that it was done?

25 A. Precisely. Those are my questions.

DR. MCPHERSON, EXAM. BY MR. MERRICK

1 Q. All right.

2 A. And, of course, there's the almost rhetorical  
3 question that I ask at the top of page 32 of my report:  
4 What was it that made Mr. Ellis unhappy with the order to  
5 disconnect the emergency stop button?

6 Q. Now we'll hear evidence as to the emergency stop  
7 button on these machines and the various emergency stop  
8 mechanisms on these machines. But as a general rule, I  
9 take it, it's not a good idea to short out safety  
10 features built on the machines by the manufacturers.

11 A. Safety features are built into any equipment for  
12 that very reason, to improve the safety, so it would seem  
13 inadvisable to interfere with them in any way.

14 Q. Okay. Again, picking out some of the incidents that  
15 are referred to in your report, the ones that you paid  
16 particular attention to as well, on page 32 of your  
17 report, you talk about some references to methane sensors  
18 being replaced on continuous miners. Staying with the  
19 shift report, perhaps you can point out where you got  
20 this information. I'm looking at pages 84 and 85 now.

21 A. Well, let's take page 84.

22 Q. Yes.

23 A. A report again signed by Mr. Ellis, top of the page,  
24 the 2000 continuous miner, Southwest district, second and  
25 third lines in the remarks column, "Mounted methanometer

DR. MCPHERSON, EXAM. BY MR. MERRICK

1 back in original position." And the question arises:  
2 Why had it been moved from its normal and original  
3 position in the first place?

4 Q. All right. The one thing we know is that there  
5 seems to be consistency that continuous miner 2000 was  
6 operating in the Southwest district.

7 A. Yes.

8 Q. Okay, what's the next report you want to direct our  
9 attention to on this?

10 A. Well, if you would turn over one page, the report  
11 dated April 16th. There appears to be no signature on  
12 this one, but the last handwritten line in the report and  
13 the comments at the bottom, "Sniffer is back in original  
14 position."

15 COMMISSIONER What page is that, please?

16 MR. MERRICK 85. It's hard to read because it's gotten  
17 blacked out by the photocopier.

18 COMMISSIONER Okay, I find it, yeah.

19 DR. MCPHERSON Bottom line, "Sniffer is back in original  
20 position." This is with reference to machine 2002. The  
21 sniffer, of course, is the methane monitor mounted on the  
22 machine. So, again, the same question arises: Why had  
23 it been moved?

24 MR. MERRICK And it appears that at the same point in  
25 time, approximately the same point in time, within a

DR. MCPHERSON, EXAM. BY MR. MERRICK

1 week, two separate continuous miners are getting the  
2 sniffers put back on in position.

3 A. Yes.

4 Q. Okay.

5 A. Do you wish me to continue?

6 Q. Yeah, please, because the next shift report, page  
7 86, also is one that you drew a particular attention to.

8 A. Yes, page 86, Mr. James --

9 Q. This is April 4th?

10 A. April 4th.

11 Q. Sorry, April 27th.

12 A. 27th, yes. We're back to machine 2000 and four  
13 lines down from the top in the remarks column is a  
14 reference to "bolts and nuts required to secure CH4,"  
15 that is the methane sensor. So, again, there would  
16 appear to have been some previous reason for removing  
17 those nuts and bolts.

18 Q. So, again, we'll --

19 A. May I make a comment, sir?

20 Q. Yes.

21 A. These are questions that I ask and would like to see  
22 answered. The reason that I'm raising those questions is  
23 because they are questions in my mind. There may, on  
24 this page, for example, be a very good and proper reason  
25 for those nuts and bolts having been removed; for

DR. MCPHERSON, EXAM. BY MR. MERRICK

1 example, to check the calibration of the methanometer.

2 But I think these questions should be followed and  
3 answered.

4 Q. Well, one of our objectives we set out in this  
5 Inquiry is to make sure we get all the questions on the  
6 table. All right, just continuing with those shift  
7 reports, you refer to one a little further over at page  
8 88.

9 A. Page 88.

10 Q. This is one that perhaps is also significant.

11 A. Half-way down the page.

12 Q. This is on May the 5th now.

13 A. This is on May the 5th. This is a report by Larry  
14 James again. Half-way down the page under the heading  
15 "Action Items Electrical." The comment is made "Trip  
16 point on 2002 continuous miner 420D," this is the  
17 methanometer, "raised from 1.2 percent to 1.5 percent was  
18 requested." In other words, the trip point on this  
19 methanometer was requested to have been set above the  
20 1.25 percent at which electrical power should be cut off.

21 Q. And I take it that the questions that arise out of  
22 that entry in that report is: Was it done?

23 A. Yes.

24 Q. And who requested it and why?

25 A. Yes.

DR. MCPHERSON, EXAM. BY MR. MERRICK

1 Q. All right. The other comments that you made as far  
2 as equipment difficulties, gas incidents, et cetera, are  
3 set out in the tables to your report. And I won't have  
4 you go through each of those. We can read them in that  
5 table. There are, however, just two additional items I  
6 want to ask you about about their detecting equipment and  
7 ventilation measuring equipment. Are you aware of  
8 whether they had difficulties with their high speed  
9 anemometer at some point in this period in the months  
10 just prior to the explosion?

11 A. Yes, sir, there is an indication in the exhibits  
12 that the high speed anemometer was returned to the  
13 manufacturer for recalibration.

14 Q. This is in Exhibit 37-A at page 57?

15 A. Yes.

16 Q. 37-A at page 57. I take it the comment that relates  
17 to that is the last sentence there in that two-paragraph  
18 report, the last part of that sentence: "...although due  
19 to the damaged anemometer, only smoke tube observations  
20 could be made. The back-up anemometer had been sent out  
21 for repair and recalibration." An anemometer is the  
22 machine, equipment, that measures air flow. This was the  
23 high speed one. What would they use that to measure?

24 A. Let me answer your question and I'll come back to  
25 something else. The high speed anemometer, we described

DR. MCPHERSON, EXAM. BY MR. MERRICK

1 yesterday what an anemometer was. It's a little fragile  
2 windmill instrument whose blades turn with respect to the  
3 movement of air through them. These come in three  
4 ranges: Low speed, medium and high speed. And they mean  
5 exactly that. They are designed for use in low speed,  
6 medium speed, high speed situations. The measurements  
7 made in the ducts are in velocities which are obviously  
8 very much higher than in the main airways. So, for that  
9 reason, the high speed anemometer would be used  
10 preferentially for measurements of the auxiliary fan air  
11 flows.

12 COMMISSIONER How do you determine it was high speed? I  
13 don't see anything on page 57 to indicate that, Mr.  
14 Merrick.

15 MR. MERRICK No, you don't, Mr. Commissioner, and I'm  
16 going on instructions that I have been given, that,  
17 hopefully, I'll clarify later.

18 COMMISSIONER Okay.

19 MR. MERRICK One thing we know from the document is  
20 that it was an anemometer. They were still continuing to  
21 make air flow measurements in the headings themselves,  
22 although they could have been using their smoke tube  
23 observations.

24 I notice, however, that they did not have duct air  
25 flow measurements for the period immediately following

DR. MCPHERSON, EXAM. BY MR. MERRICK

1 this entry. For example, on page nine of your report,  
2 Doctor, where you listed the intake air flow measurements  
3 and then the range of auxiliary fan air flow for two  
4 weeks following in the March 18th/April 2nd, there were  
5 no measurements at the ducts.

6 A. That is correct.

7 Q. All right. A relatively minor point, but at least  
8 tracking their measuring system. Just one fast question  
9 that comes out of that observation at page 57, what's a  
10 smoke tube observation? Because we see that every now  
11 and then in the air measurement surveys.

12 A. A smoke tube is a small glass vial sealed at both  
13 ends containing a chemical, typical titanium  
14 tetrachloride, which reacts with water vapour in the air  
15 to produce a fairly dense white chemical smoke. It is  
16 used by snipping off the ends of the glass vial,  
17 attaching a small hand actuated rubber bulb pump and  
18 simply pumping some of the mine atmosphere, the air,  
19 through the chemical that produces a puff of clearly  
20 visible smoke. This is used particularly in low velocity  
21 situations. It's a very crude method of measuring air  
22 velocity and one simply determines with a watch, a stop  
23 watch how long it takes for that puff of smoke to move  
24 from position A to position B. Knowing that time and the  
25 distance between A and B gives a fairly rough and ready

DR. MCPHERSON, EXAM. BY MR. MERRICK

1       indication of the velocity along that path through which  
2       the smoke has passed.

3       Q.     All right.  Now let me move you to a topic of some  
4       significance.  Let's talk about the old Southwest  
5       district for a moment.  We have talked about gas  
6       readings.  We've talked about difficulties with the  
7       ventilation system that they had, with the short  
8       circuiting.  The difficulties with the auxiliary  
9       ventilation, the inadequacy to prevent layering.  Now  
10      let's begin to look at a major, potentially a major  
11      source of gas.

12            You're aware, of course, that at the time of the  
13      explosion, the Southwest district 1 had been abandoned.  
14      What is your understanding -- Let me back up.  When you  
15      abandon a working area like that, what is the normal,  
16      prudent practice as to the method of sealing?

17      A.     There are two methods of minimizing the bleeding of  
18      gas from such old districts.  Let me talk about both of  
19      those.  One is the method you referred to and that is to  
20      put seals across those entries into those abandoned old  
21      workings, seals of a type that will minimize the amount  
22      of gas that bleeds out of them.  This means substantial  
23      seals, not simply single wall stoppings, but double wall  
24      stoppings with in-fill of material between those two  
25      walls.

DR. MCPHERSON, EXAM. BY MR. MERRICK

1 Q. Give me a physical description of one that you're  
2 thinking of?

3 A. Can we use the board again?

4 Q. We now have numbered pages. So this would be No. 1  
5 dated November 21st.

6 A. Let's suppose this is the entry into the old  
7 workings. Active ventilated part of the mine, old  
8 workings, this end. The method I'm referring to, the  
9 first of the methods, is to build two walls. I've seen  
10 these as far as five meters apart, if they are also to be  
11 explosion proof. If they are not to be explosion proof,  
12 they can be at closer intervals of time. And the  
13 intervening space filled with nonflammable material.  
14 Stone dust has been used. Gypsum-based plaster has been  
15 used. Those items mixed with material from the mine, not  
16 coal, but nonflammable material, waste material, from the  
17 mine. This is the kind of seal that would be necessary  
18 to inhibit -- it will not prevent -- but inhibit the  
19 migration of methane. The reason that it will not  
20 prevent methane is -- Let me draw this a little better.  
21 These walls should be keyed into roof, floor, and sides.  
22 The reason that that by itself will not inhibit, will not  
23 prevent methane from coming out of this, if the pressure  
24 here is greater than the pressure there, then migration  
25 of the methane will still take place in fractures around

DR. MCPHERSON, EXAM. BY MR. MERRICK

1 it. So the purpose of such a stopping or a seal, as it's  
2 sometimes referred to, is to minimize but not prevent the  
3 methane.

4 Another method of preventing this kind of migration,  
5 let us take two entries into old workings. Again, these  
6 joining through to the main infrastructure of the mine.  
7 This kind of seal could be put on both sides. Another  
8 way of preventing the methane from coming out even in  
9 this kind of circumstance is to use a so-called pressure  
10 balance chamber. Now what happens here is that in  
11 addition to these, let's put these two stoppings with a  
12 seal here. In addition to that, you build a third wall  
13 down here with space in between. Not filled in. And to  
14 devise a method by which the pressure here is exactly the  
15 same as the pressure there. The simplest possible type  
16 of system would be to put a duct, no fans, simply a duct  
17 going from this chamber into this chamber equalizing the  
18 pressures. In that case, there's no pressure  
19 differential across the old workings.

20 Q. Just set up a circuit.

21 A. There's no circuit. There's no pressure  
22 differential. There can be no movement of any gas. So  
23 that is a very powerful way of preventing methane coming  
24 out of these old workings. Now let me emphasize. This  
25 is in addition to this, not instead of. That is Method

DR. MCPHERSON, EXAM. BY MR. MERRICK

1 No. 2.

2 This is quite a common method used in the United  
3 Kingdom. It is not commonly used, it has been used but  
4 not commonly used, in the United States.

5 There is a third method of handling this problem,  
6 and this is the method that issued in the United States.  
7 And that is that when we have -- Let me draw it as a  
8 block diagram.

9 Q. You're on Diagram No. 2 now.

10 A. When we have a set of old workings, again, with a  
11 potential to bleed out into the ventilated part of the  
12 mine, one way of handling this is to use the so-called  
13 back bleeder system. In the back bleeder system, a  
14 return entry is maintained along the back of the old  
15 workings. The layout is designed and set up in designing  
16 the mine for that to be maintained open, and this is  
17 connected through to the main return system of the mine.  
18 So that the seals are put on here as we described before,  
19 and any leakage that takes place is clearly going to take  
20 place from the high pressure side slowly and be pulled  
21 into that back bleeder return. And this is a method of  
22 preventing those gases from bleeding out into the main  
23 part of the mine.

24 Q. It would seem to me that the two systems are based  
25 on two basic theories: one is to avoid any of the gas

DR. MCPHERSON, EXAM. BY MR. MERRICK

1 from the old worked out area getting into your mine, the  
2 second one is to allow it and accommodate it?

3 A. Yes, sir.

4 Q. Faced with what we see on the diagram, the maps here  
5 of the Southwest district and knowing that Westray was  
6 required to abandon the Southwest 1 district, what would  
7 you have expected to have been the intent of the mine  
8 management, a prudent mine management, as to whether they  
9 would try to completely seal off that district or whether  
10 they would try to accommodate the escape of gas into the  
11 mine system?

12 A. First of all, let me point out that taking intake  
13 air past the entrances to the then abandoned workings,  
14 you'll recall the air flow. It came up here, around this  
15 way, and then into Southwest 2-B, passing the entrances  
16 to Southwest 1.

17 The first point I want to make is that this is not  
18 allowed by the Nova Scotian regulations. The intake air  
19 should not pass areas, abandoned workings -- we can refer  
20 to the exact wording, but it is a practice that is  
21 mentioned in the law, that they should not be utilized.

22 What the law also states is that in circumstances  
23 where this might otherwise happen that a separate pathway  
24 be allowed for the return, for gas or air coming from  
25 those old workings to be directed directly into a return.

DR. MCPHERSON, EXAM. BY MR. MERRICK

1 This could have been done in two ways.

2 First of all it could have been done by this method,  
3 provided this method had been laid out and had been part  
4 of the original mine design, which, of course, it was  
5 not.

6 And the other way of accomplishing that same end  
7 would have been to construct air crossings, an air  
8 crossing, over the intake, this intake part, to allow any  
9 bleeding from the old workings to progress into the  
10 return without contaminating the intake.

11 Q. Just let me make sure I've understood that. Would  
12 that be a crossing that would take your fresh air past  
13 the entrance and then up into Southwest 2 or a crossing  
14 that would allow your return air --that would have passed  
15 the old workings to get straight out to the return?

16 A. Either way would have done it, Mr. Merrick, as long  
17 as you keep the two separate.

18 Q. So you have built a duct -- for example, if you were  
19 going to keep the intake air separate, you would have  
20 built a duct past the old workings?

21 A. It would have been easier to actually have a ducted  
22 system from the old workings or from the front edge of  
23 the stoppings such as they were to direct it into the  
24 return and therefore not contaminate the intakes. That  
25 would have been a less expensive mode.

DR. MCPHERSON, EXAM. BY MR. MERRICK

1 Q. So the first step that a prudent mine management  
2 would take is to avoid running your main intake  
3 ventilation system straight past the entrances to the old  
4 workings?

5 A. That is not only prudent, it is also -- would be in  
6 compliance with the law.

7 Q. Mr. Commissioner, you may wish to take the morning  
8 break at this point.

9 COMMISSIONER Okay, we'll recess for fifteen minutes,  
10 thank you.

11 INQUIRY RECESSED (TIME 11:04 a.m.)

12 INQUIRY RESUMED (TIME 11:21 a.m.)

13 COMMISSIONER Mr. Merrick?

14 MR. MERRICK Thank you, Mr. Commissioner. Dr.  
15 McPherson, we were talking about the way a prudent mine  
16 management would handle the closing off of the Southwest  
17 district, and you told me that the first thing they'd do  
18 is avoid exposing your main intake ventilation flow to  
19 those entries. What else would they do or how else  
20 should they have handled the abandonment of that area?

21 Let me ask it another way.

22 A. Yes, please.

23 Q. What do you understand to be the way they did seal  
24 off that area?

25 A. The seals -- I hesitate to use the word "seals"

DR. MCPHERSON, EXAM. BY MR. MERRICK

1 because they were not seals in the proper sense of the  
2 word. The attempts to put stoppings up -- the stoppings,  
3 as I understand them, were constructed out of plywood and  
4 plastic. The first comment there is that, again, within  
5 the Nova Scotia regulations, stoppings are required to be  
6 made out of substantial material. I would hardly call  
7 plywood and plastic substantial materials from the point  
8 of view of building stoppings in mine entries. That's a  
9 general comment.

10 With respect to the stoppings of that type put into  
11 the entrances to the old Southwest 1, these would clearly  
12 be quite inadequate to even inhibit, never mind prevent,  
13 the passage of methane from those -- or any other gases,  
14 in or out of those old workings.

15 Q. Knowing -- I'm trying to quantify the significance  
16 of what they did, and just bear with me while I struggle  
17 with that for a minute. Knowing what they had in there,  
18 knowing that they got chased out of the finger panels  
19 section that we talked about with Dr. Salamon last week,  
20 knowing, therefore, that there would be a considerable  
21 crush of coal going on in there, I mean, how bad was this  
22 that they merely put up this description of stoppings  
23 that you've described of plywood and plastic?

24 A. Those stoppings would do little more than prevent  
25 people from going into the old district. And that, of

DR. MCPHERSON, EXAM. BY MR. MERRICK

1 course, is necessary to fence off old districts so that  
2 no one inadvertently wanders in there. They would  
3 perform that function. But as far as movement of air or  
4 gases in and out, they would hardly be effective in that  
5 sense.

6 Q. Assume for the moment that on May 8, 1992, you were  
7 taking a tour of that mine and part of your tour took you  
8 up into the Southwest district and you went by and looked  
9 at the stoppings, knew or had explained to you what was  
10 behind them and the circumstances, how concerned would  
11 you be with what you would be seeing?

12 A. I would be concerned, Mr. Merrick, in two senses.  
13 First of all, because it was an illegal system, having  
14 intake air passing the entrances to old workings; and  
15 secondly, I would be concerned for the safety of the mine  
16 workers, in the sense that we've already talked about,  
17 that this is a system that would allow methane to bleed  
18 out of those old workings into the ventilated areas of  
19 the mine.

20 Q. Well, what I'm trying to quantify, and I'm pushing  
21 you a little bit, and only go as far as you're  
22 comfortable, but recognizing that this is not the way it  
23 should have been done, how opposed -- how upset would you  
24 be with seeing how they did it? I mean, on a scale of  
25 gravity, would this be something that you would say to

DR. MCPHERSON, EXAM. BY MR. MERRICK

1       yourself "Well, they've done it improperly; it's not the  
2       way I would do it. That's interesting." And move on, or  
3       would you say "What in God's name is that?"

4       A.    I would have suggested that they provide a means of  
5       bleeding that gas from the old workings into a main  
6       return. And we've already talked about a method that  
7       could have been implemented by ducting air from those old  
8       workings into an improvised air crossing into the main  
9       return.

10      Q.    All right, let's talk for a minute about the volume  
11      of gas that may have been being generated in that old  
12      area.

13      A.    Yes.

14      Q.    You deal with that on pages 10 and 11 of your  
15      report. And tell me how you do that and what you -- it  
16      is that you are calculating. I take it that you are  
17      arriving at a quantification of the amount of methane  
18      that may well be being produced in the old workings, am I  
19      correct?

20      A.    Yes. And specifically, on April the 2nd when the  
21      measurements that I'm going to refer to were taken.

22      Q.    Yes.

23      A.    Do you want me to go through?

24      Q.    Please.

25      A.    Yes.

DR. MCPHERSON, EXAM. BY MR. MERRICK

1 Q. We won't bother going to the shift -- the  
2 ventilation measurements that show those readings because  
3 they're in the documents; we looked at them yesterday.  
4 All right?

5 A. All right, let me refer then to the map. On April  
6 the 2nd measurements of methane concentration were made  
7 at the locations that I've identified on top of page 11  
8 of my report, Southwest outbye 4 Crosscut. I'm pointing  
9 to the location on the map. This is 4 Crosscut.  
10 Measurements of methane were made at that position. Two  
11 measurements were made, and those are the numbers I've  
12 indicated at the top of page 11.

13 Q. Yes.

14 A. A measurement was made of 2.5 per cent methane which  
15 was in the general body of the air flow. A second  
16 measurement was made, described in the report as "near  
17 the back," and this means near the roof, of nine per  
18 cent, indicating that methane layering was, indeed,  
19 taking place at that position at that time. Also  
20 indicating the nine per cent is close to the  
21 concentration of methane that corresponds to maximum  
22 explosability of the gas. Maximum explosability occurs  
23 at 9.5 to 9.6 per cent. So we were very close to the  
24 maximum explosability of a methane-air mixture.

25 So we had a fairly high concentration of gas coming

DR. MCPHERSON, EXAM. BY MR. MERRICK

1 out at roof level and also a significant concentration,  
2 2.5, at the general body. 2.5 per cent is the  
3 concentration in Nova Scotia at which personnel should be  
4 withdrawn. But this was at the entrance of the old  
5 workings and not in the main ventilation.

6 On that same day and during that same so-called  
7 "survey," a measurement of air flow was made in the C-1  
8 Road inbye 3 Crosscut. Here is the C-1 Road, 3-1  
9 Crosscut. An air flow measurement was made at that  
10 position. This is air flow that would then progress into  
11 and around the Southwest 1 workings. Clearly, there were  
12 no substantial stoppings at that time to allow that  
13 amount of air flow to progress around. It may not have  
14 been the full air flow because we have another passageway  
15 which is blocked, but there may well have been some  
16 additional air entering the old Southwest 1 through that  
17 blocked passageway.

18 Q. Just looking at that blocked passageway for a  
19 moment.

20 A. Yes, sir.

21 Q. The two stoppings that we talked about a few minutes  
22 ago of plywood covered with plastic we see on the A -- C-  
23 1 and B Roads.

24 A. Yes.

25 Q. The third one that goes up 2 North A is identified

DR. MCPHERSON, EXAM. BY MR. MERRICK

1 as being "chocks only, no plywood" --

2 A. Yes.

3 Q. -- and a little further up "blocked ground fall No.  
4 4." How adequate is a ground fall to blockage of passage  
5 of air and ventilation into that area?

6 A. It depends clearly on the type of rock fall. It can  
7 vary from being a very minimal additional resistance to  
8 air flow through to being a substantial obstruction.  
9 Indeed, one is often misled visually by looking at a fall  
10 and seeing it going way, way up there with no possibility  
11 of people going over that. But nevertheless there still  
12 can be significant amount of air leaking through.

13 Q. All right.

14 A. So it's impossible to say is my answer.

15 Q. All right. Let's come back to your description  
16 then. You're saying there could be air flow going into  
17 the old workings?

18 A. In addition to the 20,875 that was measured at this  
19 point. So it was at least that is the point I'm making.

20 Q. Yes.

21 A. Okay? So now we have -- and all of that air would  
22 come out on the B Road where the 2.5 and the nine per  
23 cent methane concentrations were measured. So now we  
24 have a minimum value of the air flow and the methane  
25 concentration at this point. I have taken the 2.5 per

DR. MCPHERSON, EXAM. BY MR. MERRICK

1 cent concentration as a conservative value, the lower of  
2 the two concentrations that was measured, multiplied it  
3 by the air flow, 20,875, to arrive at the proportion of  
4 that movement of gases, air and methane, that was,  
5 indeed, methane. The calculation is on the top half of  
6 the page, page 11, and gives us a value of 522 cubic feet  
7 per minute or .246 cubic meters per second of methane.  
8 So at that time, April 2nd, we have a direct measurement  
9 of the amount of methane that was being produced in the  
10 Southwest 1.

11 Q. Because we know you've used in your calculations the  
12 reading that was taken right at that point which would be  
13 coming out of the Southwest 1?

14 A. Methane concentrations. Yes, sir.

15 Q. And indeed, since you prepared your report, Doctor,  
16 there is now some evidence to indicate that the stoppings  
17 that are referred to in that diagram may not in fact have  
18 been constructed until on or about April the 13th. Now  
19 we will hear evidence later on as to exactly when they  
20 would have been constructed --

21 A. Yes.

22 Q. -- but assuming for the moment that that may be so,  
23 then that would strengthen your -- or that would be  
24 consistent with what you've calculated here?

25 A. Well, indeed, it's -- this is the reason they still

DR. MCPHERSON, EXAM. BY MR. MERRICK

1 had 20,875, at least, going around that district, yes.

2 Q. All right. So that's the volume -- or that is the  
3 amount -- have I got it correctly? That that is the  
4 amount of gas that would be being made in that old area?

5 A. Yes.

6 Q. So that tells us the amount of gas that may well be  
7 coming out of that area?

8 A. Yes.

9 Q. Okay. Now let's talk about what happens to that gas  
10 when it comes out. In your report you have concluded  
11 that gas coming out of that old working area would layer  
12 and go up Southwest 2-B Road. Up the incline.

13 A. Yes.

14 Q. Tell me how you have arrived at your conclusion that  
15 layering would, in fact, be occurring.

16 A. We're still on the April 2nd scenario.

17 Q. All right.

18 A. With substantial amount of air still going around  
19 the Southwest 1, it was being ventilated. And we've used  
20 the air flow, the ventilating air flow, combined with the  
21 general body gas concentration coming out of the return  
22 side in order to calculate that amount of methane. The  
23 majority of the methane coming out of the Southwest 1 at  
24 that time, because it was ventilated, would be in the  
25 general body and there would, in addition to that, be

DR. MCPHERSON, EXAM. BY MR. MERRICK

1 higher concentrations at roof level as, indeed, was  
2 measured. It is those higher concentrations at roof  
3 level that form the layer, not the general body  
4 concentration.

5 Now the difference that would occur when those  
6 plywood and plastic stoppings were constructed after this  
7 date, would be to cut down very substantially the amount  
8 of air passing around Southwest 1. That was the primary  
9 objective to so-call "seal them off." And it would  
10 therefore reduce substantially, that amount of air and  
11 that amount of dilution that had previously been taking  
12 place. Dilution of the methane.

13 So now we have a situation, after the stoppings are  
14 put on, where we have a completely unventilated section,  
15 Southwest 1, but which is still producing methane. The  
16 cessation of ventilation will have very little effect on  
17 the rate at which methane is produced. The rate of  
18 methane production will vary with time. It goes through  
19 a decay process, but it will not be affected one way or  
20 the other by the presence or absence of passage of air  
21 through the old workings.

22 So what will then be coming out of Southwest 1  
23 around and over those so-called "seals," would be high  
24 concentration methane, and that is the situation which  
25 leads to -- which favours the production of methane

DR. MCPHERSON, EXAM. BY MR. MERRICK

1 layers.

2 Q. Yes. Now take me through your calculations as to  
3 how you -- you've got a section in here on calculating  
4 the fact that layering was, in fact, occurring. Let me  
5 just find it in your --

6 A. This is Section 8, page 35, Mr. Merrick.

7 Q. Yes. Let me just catch up to you. All right. And  
8 this would be calculations that were done based on  
9 measurements taken May the 8th?

10 A. Yes, sir.

11 Q. And what did you do there and where does that lead  
12 us?

13 A. In Section 8 I have used data and analysis to  
14 indicate that there was a high probability of methane  
15 layering taking place into and up the Southwest 2-B  
16 Roadway. In the table on the middle of page 35, I have  
17 taken survey data, the air flow measurement data, at the  
18 location of the V-11 ventilation station that was, I will  
19 point it out on the map, in Southwest B Road return  
20 airway. Those air flow measurements are indicated under  
21 the heading "Air flow cfm" in the table. I have chosen  
22 that location to base this analysis on because we have  
23 methane concentration, general body methane  
24 concentrations, also measured at that same station.

25 So throughout the month, April 8th to May 8th, we

DR. MCPHERSON, EXAM. BY MR. MERRICK

1 have air flow and methane concentrations measured at that  
2 point and this is the return air from the complete  
3 Southwest sections.

4 If we, line by line, multiply the air flow by the  
5 methane concentration, we arrive at the amount in cubic  
6 feet per minute of methane flowing. You'll notice at the  
7 top of my last column, fourth column, methane flow is  
8 concentration times air flow. So it's simply Column 2  
9 multiplied by Column 3, gives us the methane flowing out  
10 of the total Southwest region. This varies from 570 down  
11 to 442 cubic feet per minute. I've taken an average of  
12 523. This is methane coming out of that total Southwest  
13 district.

14 At this stage, I have made an estimate. I'm going  
15 to come back to a rationale for that later, but, for the  
16 moment, I've estimated that this 523 average volume of  
17 methane which, of course, is coming partly from the old  
18 Southwest 1 and partly from the current Southwest 2  
19 workings, I've estimated that approximately half of that  
20 was coming from the old Southwest 1 workings.  
21 Specifically, I've estimated of the 523, 250, a little  
22 less than half of that methane flow, is coming from the  
23 old Southwest 1 workings.

24 Now let's hold that in our minds for a moment and  
25 take a look at the Southwest 2 area itself. On May 8th,

DR. MCPHERSON, EXAM. BY MR. MERRICK

1 an air flow measurement was made at this location,  
2 Southwest 2-A, inbye Crosscut 1, of 59,800 cubic feet per  
3 minute. It is actually marked on this map.

4 Q. Yes, that's the measurement as of May 8th.

5 A. As of May 8th.

6 Q. And that's taken off the ventilation, purported  
7 ventilation surveys, that are in the documents?

8 A. Yes, sir. I've taken -- This would be an  
9 approximation, therefore, of the air flow that was  
10 progressing around this loop. There would clearly be  
11 some leakage here, but this gives us an indication of  
12 what we've been calling the infrastructure or through-  
13 flow ventilation for that Southwest 2 loop.

14 I've, therefore, assumed that that would be the same  
15 air flow as passing up Southwest 2-B. That is more than  
16 an assumption; that is a certainty because there's no  
17 other entrances into or out of Southwest 2. So what goes  
18 in here has to come out in the return.

19 So we can take that air flow as being representative  
20 of the Southwest 2-B, even though it was, in fact,  
21 measured in Southwest 2-A. Now taking the dimensions,  
22 the average dimensions, of Southwest 2-B, we're going to  
23 concentrate on this rising intake now. I've taken the  
24 dimensions of that to be six meters by 3.5, giving an  
25 area of 21 square meters. Six multiplied by 3.5 gives us

DR. MCPHERSON, EXAM. BY MR. MERRICK

1 21 square meters. If we divide the air flow by the cross  
2 sectional area, we arrive at the air velocity. Remember  
3 we had that equation on the board yesterday?

4 Q. In fact, you're now doing that calculation for us  
5 for this date in that location.

6 A. Right. We're saying Velocity U is Air Flow Q  
7 divided by cross-sectional area, which is the same  
8 equation as one of those we had on the board yesterday.  
9 And that gives us a mean velocity proceeding up Southwest  
10 2-B at 1.34 meters per second.

11 Q. This is on the bottom of page 35 of your report,  
12 that calculation.

13 A. Yes, sir. Now yesterday we talked about this  
14 measure of propensity to methane layering, the thing that  
15 I call layering number. I'm on the top of page 36 now of  
16 my report. A measure of the tendency to layering given  
17 by this concept of layering number. The equation is  
18 repeated at the top of this page, near the top of this  
19 page. It depends upon air velocity, which we've now  
20 established for this rising intake to be 1.34 meters per  
21 second. It depends on the width of the entry, six  
22 meters. And depends upon the rate of emission of gas at  
23 roof level into that entry. And here I'm using my  
24 estimated, at this stage, 250 cubic feet per minute of  
25 methane. That is .118 cubic meters per second. So we

DR. MCPHERSON, EXAM. BY MR. MERRICK

1 have the three pieces of information for the Southwest 2  
2 rising intake that we require to calculate layering  
3 number. Entering those values into that equation gives  
4 us a layering number of three. This is a measure of the  
5 tendency towards methane layering.

6 I would now like to refer you to the same table we  
7 looked at yesterday, the very last page of the last  
8 appendix in my report. Let me remind you again what this  
9 table is. This is the table of recommended minimum  
10 layering numbers for various roadway inclinations. This  
11 is a rising; that is, ascensional airway. It's rising at  
12 an inclination of 13 degrees. So if we look along the  
13 ascensional row, the middle row of this table, we've got  
14 minimum layering number under 10 degrees of 6.2, under 15  
15 degrees of 6.6. So approximately half-way between those  
16 two, our 13 degrees. I'm interpolating a minimum  
17 layering number of 6.4.

18 Q. So what we're actually getting on that day is  
19 approximately half of the velocity of air flow that would  
20 be needed to prevent layering using your perimeters.

21 A. No, sir, let me correct the statement. We have less  
22 than half of the layering number. This does not equate  
23 directly to velocity because of the formulation of the  
24 equation. This is something we can come back to if you  
25 wish.

DR. MCPHERSON, EXAM. BY MR. MERRICK

1           The point is in this condition, in this scenario, we  
2           have a layering number that is significantly below that  
3           which will inhibit the formation and the propagation, the  
4           streaming of methane layering, methane layer. So it  
5           would seem to me that under the conditions that we have  
6           specific here that methane layering would be taking place  
7           out of Southwest 1 and progressing into the intake  
8           stream. Let me repeat that. A methane layer would be  
9           issuing from Southwest 1, propagating at roof level along  
10          this short length of intake and then continuing to follow  
11          the air flow at roof level, propagated now not only by  
12          the movement of the air but also the 13 degree  
13          inclination upwards. The buoyancy of the gas would help  
14          free streaming in addition to air flow induced streaming  
15          up that entry.

16         Q.    Let me just jump in for a second and make sure that  
17         I'm still on the train or if I fell off going around one  
18         of those curves. And I'm going to put this in very  
19         simplistic terms, and you tell me if I've got it right.  
20         You have taken the average methane flow -- Let me back  
21         up. You have taken the air flow measurements that were  
22         calculated on May the 8th in the location that you  
23         described up the Southwest 2 roadway.

24         A.    Yes.

25         Q.    You have looked at the methane measurements over a

DR. MCPHERSON, EXAM. BY MR. MERRICK

1 period of time, approximately a month previously?

2 A. Yes.

3 Q. And you've averaged them?

4 A. Yes.

5 Q. So that the general body of air flow has always had  
6 a methane content in it that they have been measuring  
7 over that month?

8 A. Yes.

9 Q. And those numbers are given ranging from .5, .6, et  
10 cetera.

11 A. Yes.

12 Q. On each of those days when they measured the general  
13 body air flow and got a methane reading. For example, on  
14 April the 8th, they had an air flow of 103 cubic feet per  
15 minute and an air flow -- methane percent of .5. You're  
16 able to calculate the methane flow for that measurement?

17 A. Yes.

18 Q. So that on that day we get 518 cubic feet per minute  
19 of methane?

20 A. Yes.

21 Q. So we average all that up and we assume that on May  
22 the 8th that there probably was about 523 cubic feet of  
23 methane?

24 A. Yes.

25 Q. You're assuming that about half of that is coming

DR. MCPHERSON, EXAM. BY MR. MERRICK

1 from the old Southwest workings.

2 A. Yes, for the moment, yes.

3 Q. And in taking that, you have assumed -- Just a  
4 minute now while I get it, about 250 cubic feet per  
5 minute.

6 A. I have assumed 250 cubic feet per minute, yes.

7 Q. Your assumption is backed up, to some extent, by the  
8 calculation you gave me earlier from page 11 of your  
9 report where on April the 9th you calculated that the old  
10 Southwest district was making at the rate of .246 cubic  
11 meters a second.

12 A. It was April the 2nd, to be precise.

13 Q. April the 2nd, I'm sorry. So that, in effect, your  
14 estimate of one-half coming out of the old Southwest  
15 district is corroborated by that earlier calculation, is  
16 that right?

17 A. Well, I've been conservative. I've assumed it was  
18 very much less than that.

19 Q. Yes. This supports you and supports the fact that  
20 you're being conservative.

21 A. Yes, sir.

22 Q. All right.

23 A. With one added rider on this to clear up one  
24 question, and that is that I have on previous occasions  
25 stated that methane emission decays with time from any

DR. MCPHERSON, EXAM. BY MR. MERRICK

1 standing surfaces. The Southwest 1 was no longer being  
2 worked. It was standing, but crushing was still going  
3 on. If crushing had not been going on, if the pillars  
4 had not been continuously subjected to squeezed pressure,  
5 then that methane would have decayed. The fact that the  
6 crushing was continuously going on would tend to maintain  
7 the methane at a higher level. Now we have no way of  
8 knowing which was the dominant factor on here. But from  
9 the figures we've looked at, we're looking at on page 35,  
10 I would assume that the methane being produced from  
11 Southwest 1 was indeed decreasing with time. So my  
12 assumption of 250 at this stage for May the 8th, even  
13 though it was measured at significantly higher, over 500  
14 on April 2nd, is, I think, a reasonable estimate.

15 Q. Because on April the 2nd, you calculated the flow  
16 at, and I'm going to talk in meters for a second, at .246  
17 cubic meters a second. For the purpose of this  
18 calculation, you've used 1. -- Sorry, no, you've used --

19 A. .118.

20 Q. .118 cubic meters per second. So a little less than  
21 half of what was happening on April 2nd.

22 A. Yes.

23 Q. All right, so what we now have is we've got the  
24 estimated amount of methane coming out of the Southwest  
25 1, and you've now used that in the calculation you've

DR. MCPHERSON, EXAM. BY MR. MERRICK

1 described to determine if the general body of air was  
2 moving at a sufficient velocity to mix that methane and  
3 prevent layering. And because the layering number comes  
4 out in your calculation at much lower, half of what it  
5 should be, that tells us that general body of air flow  
6 that was measured on May the 8th was not enough to  
7 prevent layering.

8 A. That is correct.

9 Q. So the estimated amount of .118 cubic meters per  
10 second of methane coming out of that area would layer.

11 A. I have, in fact, done that calculation, Mr. Merrick.  
12 I can quote it to you. This is in old-fashioned units,  
13 I'm afraid, but we have indicated there that the air  
14 velocity according to the measurements is 1.34 meters per  
15 second.

16 Q. You're on page 36 now.

17 A. Page 36. I'm going to translate that, and forgive  
18 me for this, into old units. That is 268 feet per  
19 minute. The velocity was 268 feet per minute. If we  
20 take the layering number of 6.4, which would have  
21 prevented layering --

22 Q. Now let me just jump in here and make sure I've got  
23 you. The calculation you did a minute ago was using what  
24 we actually had.

25 A. Right.

DR. MCPHERSON, EXAM. BY MR. MERRICK

1 Q. Checking to see what the layering number was.

2 A. Right.

3 Q. It was three. It should have been six.

4 A. 6.4, yes.

5 Q. Now you're going to use the layering number that we  
6 should have had.

7 A. Yes.

8 Q. Run it back through the formula to see what sort of  
9 air flow we should have had.

10 A. Exactly.

11 Q. To double check your first calculation.

12 A. Yes.

13 Q. Thank you.

14 A. Yes, and doing that calculation, using a layering  
15 number of 6.4, gives us a required velocity of 552 feet  
16 per minute. That is the velocity we would have required  
17 to prevent layering.

18 Q. Of that amount of methane.

19 A. Of that amount of methane.

20 Q. And, I'm sorry, it would have required how much?

21 I've lost it here on the page.

22 COMMISSIONER 552.

23 MR. MERRICK And we had?

24 A. We actually had 268 feet per minute.

25 Q. All right. Now there is a third way that you've

DR. MCPHERSON, EXAM. BY MR. MERRICK

1 done a calculation. Or let me back up.

2 You have also calculated the amount of gas that  
3 would be emitted from the Southwest district purely as a  
4 result of barometric pressures that day.

5 A. In the previous section of the report, yes.

6 Q. Take me to that, if you would. I assume this would  
7 be an appropriate time to deal with that?

8 A. Yes.

9 COMMISSIONER That would be page 33?

10 A. Yes, sir.

11 MR. MERRICK Okay.

12 A. What has been done and reported in this part of the  
13 document is to use the record of barometric pressure  
14 recorded at the meteorological station at Caribou Point  
15 from May 7th to early in the morning of May 9th, and I  
16 have employed the detailed tables in order to produce  
17 them in a more visually acceptable form for us. Turning  
18 over the page to page 34, we have a graph of the  
19 barometric pressure against time.

20 COMMISSIONER Doctor, could you not have used barometric  
21 pressure readings taken at the mine, or would it have  
22 made any difference?

23 A. I was not aware, Mr. Commissioner, of any barometric  
24 readings having been taken on a continuous basis at the  
25 mine.

DR. MCPHERSON, EXAM. BY MR. MERRICK

1 COMMISSIONER Oh, I see.

2 A. There was no such data.

3 COMMISSIONER There was no -- you say they weren't done  
4 or you have no record of them.

5 A. There was no -- I have not seen any continuous  
6 record of barometric pressures measured at the mine.

7 COMMISSIONER Is that something that would be common in  
8 a mine to have that?

9 A. It is a very prudent precaution and, indeed, is  
10 included in some mining legislation, that barometric  
11 pressures should be read and noted at the beginning of  
12 each shift.

13 COMMISSIONER Okay.

14 A. I have not seen that for Westray.

15 COMMISSIONER Okay, thank you.

16 A. So returning to the graph of what was happening to  
17 the air pressure, the barometric pressure on surface over  
18 that 42-hour approximately period, we can see that we  
19 have a period of -- Yes, approximately 42 hours, through  
20 which there were oscillations; there were variations in  
21 the barometric pressure, but the overall trend was  
22 downwards.

23 Yesterday, Mr. Merrick, in response to one of your  
24 questions, I described the expansion and/or contraction  
25 of air in voidage areas, old workings, bed separations

DR. MCPHERSON, EXAM. BY MR. MERRICK

1 that is produced by variations in barometric pressure.

2 We can do that calculation.

3 The calculation is done on page 34, and this is how  
4 I obtained the rest of the data. I needed to know the  
5 volume of voidage in the old workings. So I scaled one  
6 by one each of the entries that had been made in  
7 Southwest 1. Each of these entries, each of the  
8 crosscuts I scaled off the length. I used cross-  
9 sectional areas of 5.5 times 4 for the entries. These  
10 numbers are given on the bottom of page 33. And 5.5 by 7  
11 for the areas of pillared workings or extraction. That  
12 gave me a total voidage volume of 59,492 cubic meters.  
13 This is the voidage, the space, behind those stoppings  
14 and in the Southwest 1 workings.

15 We now have two things. We have the rate of fall of  
16 the barometer, and we have the volume of the space in the  
17 old workings. As the barometer fell, the volume of gases  
18 in that space would expand because of the mechanism we  
19 talked about yesterday. The calculation of that  
20 expansion is the calculation done just below the graph on  
21 page 34. It is a thermodynamic equation, but a fairly  
22 simple one. It assumes that the temperature does not  
23 change in the Southwest 1. The volume,  $V-1$ , is the  
24 initial volume, 59,492.  $P-1$  and  $P-2$  are the pressures  
25 recorded at the beginning and the end of the falling

DR. MCPHERSON, EXAM. BY MR. MERRICK

1 barometer period, the 42-hour period. And by that  
2 calculation, the initial or original volume, multiplied  
3 by the ratio of the initial pressure, P-1, and the final  
4 pressure, P-2, that gives us the volume to which those  
5 gases would expand. That comes out to a new volume of  
6 59,224.

7 So here we have a situation where the actual volume  
8 of voidage space in the old workings is 58,492 cubic  
9 meters. The gases in there have expanded to larger than  
10 that -- 59,224. The actual space, of course, remains the  
11 same inside the old workings. So that excess volume can  
12 only result in those gases being pushed out into the  
13 ventilated part of the mine. They expand out of the old  
14 workings just like air escapes from a balloon when you  
15 take off the end.

16 COMMISSIONER Well, how could they escape if the  
17 barometric pressure was the same outside? Wouldn't that  
18 equalize?

19 A. [No audible response]

20 MR. MERRICK It's the equalization mechanism that  
21 you're describing?

22 A. Yes. It's the transient.

23 Q. As the pressure drops --

24 A. It's the transient.

25 Q. -- outside, the pressure equalizes but it equalizes

DR. MCPHERSON, EXAM. BY MR. MERRICK

1 by an expansion of the gases?

2 A. If you take an automobile tire, Mr. Commissioner --

3 COMMISSIONER Yes.

4 A. -- at 30 psi, and you open the valve up, the  
5 expansion of the air in that tire, because of the  
6 decreased pressure, results in that air rushing out. And  
7 it will continue to rush out until the pressure inside  
8 the tire is the same as the pressure outside the tire.  
9 Then the flow will stop. But during that period when the  
10 pressure inside the tire is greater than the pressure  
11 outside, then there will be a flow of air outwards. That  
12 is exactly what is happening here.

13 COMMISSIONER But I'm -- I want to understand this  
14 because it sounds like it's important, and frankly, I  
15 don't right at this time. Because if you look here, this  
16 is the area from which the equalization would be -- would  
17 move out.

18 A. Yes, sir.

19 COMMISSIONER Okay. But the barometric pressure would  
20 be the same out here as it would be in there, would it  
21 not?

22 A. Eventually at equilibrium. But in order to achieve  
23 that equilibrium, a flow of gas has to take place  
24 outwards. The pressure inside the sealed off area is  
25 greater during this transient period because the outside

DR. MCPHERSON, EXAM. BY MR. MERRICK

1 atmosphere pressure is going down and this will react.

2 COMMISSIONER But what is gradually turning on up here?

3 I think I'm getting to you, yeah.

4 A. This will react.

5 COMMISSIONER Yeah, okay. So this area here, now  
6 because the increased barometric pressure, the increased  
7 pressure there has nowhere to go but out here --

8 A. Yes, sir.

9 COMMISSIONER -- to equalize?

10 A. Yes.

11 COMMISSIONER Okay, fine.

12 A. And just to make that more precise. We don't have -  
13 - we do not have increased pressure in the old workings,  
14 what we do have is decreased pressure outside which, of  
15 course, has the same effect.

16 COMMISSIONER Yes, okay. Yeah, yeah. I'm with you now.  
17 Yeah.

18 MR. MERRICK If we start at the point on your graph on  
19 May 7th, both inside and outside the mine, we start with  
20 this higher barometric pressure?

21 A. Yes.

22 Q. As the low moves through, the pressure drops and, of  
23 course, the pressure has to drop in the mine?

24 A. Yes.

25 Q. The air comes out of the tire?

DR. MCPHERSON, EXAM. BY MR. MERRICK

1 A. Yes.

2 Q. Because it expands?

3 A. Um-hmm. Exactly.

4 Q. I got you. All right.

5 A. So if we take the expanded volume, 59,224, compare  
6 that with the original volume, 59 -- 58,492, the  
7 difference between those two is that amount of gas which  
8 has had to be released from the Southwest 1 area flowing  
9 into the intake in Southwest 2-B. So taking that change  
10 of volume gives us 732 cubic meters. And the equivalent  
11 in cubic feet is given there. That is the volume of gas  
12 that would be emitted due to expansion during those 42  
13 hours. This has nothing to do with the gas that's  
14 actually being made from the coal; this is purely by the  
15 expansion of the gases that exist in that voidage.

16 That is a demonstration of the way the calculation  
17 is carried out, Mr. Merrick.

18 In order to arrive at a more precise value in those  
19 hours immediately before the explosion, we'll move on to  
20 the bottom quarter of page 34. What I've taken is those  
21 last seven hours from 2100 hours on May the 8th to 4:00  
22 a.m. on May the 9th. This is the period of this last  
23 fall of barometric pressure. So we're looking at this  
24 now to get a more precise value close to the time --  
25 closer to the time of the explosion.

DR. MCPHERSON, EXAM. BY MR. MERRICK

1           And I repeat that calculation for that shorter time  
2 period and that gave a volumetric emission and expansion,  
3 and I have this in cubic feet, of 7,475 cubic feet. That  
4 is the amount of expanded gases coming out into Southwest  
5 2 over that period of seven hours. So if you take 7,475  
6 cubic feet, looking at the bottom calculation on page 34,  
7 7,475 cubic feet over seven hours, divided by seven  
8 hours, divided by 60 minutes in an hour, that gives us 18  
9 cubic feet per minute of gas emission from the Southwest  
10 1 due to expansion effects alone.

11       Q.    And we are assuming that the gas that would be  
12 coming out of the Southwest District would be very high  
13 concentration methane?

14       A.    Yes, sir.

15       Q.    So what we know is that leaving everything else  
16 aside, assuming for the moment that there was no ongoing  
17 gas emission from the Southwest District, as you would  
18 had assumed in your earlier calculations, and looking  
19 solely at the effects of the barometric pressure drop in  
20 the seven hours prior to the explosion, there would have  
21 been approximately 18 cubic feet a minute coming out of  
22 the Southwest District?

23       A.    Yes.

24       Q.    And we know from looking at your calculation minute  
25 ago on page 36, that with the air flow, the general body

DR. MCPHERSON, EXAM. BY MR. MERRICK

1 air flow that was going out Southwest 2-B Road, it was  
2 only sufficient to prevent layering of, have I got this  
3 right, 26 cubic feet per minute of gas?

4 A. Can we back up a little bit because we had not quite  
5 reached that stage.

6 Q. All right. I'm sorry.

7 A. Okay. What we had done was get down to the last --  
8 to the end of the second paragraph, I guess it is, on  
9 page 36. We had established that a layering number of  
10 three was the condition existing, whereas we needed a  
11 layering number of 6.4 in order to inhibit or prevent  
12 methane layering.

13 Backing off. That layering number of "3" you recall  
14 was based, among things, on an estimate of 250 cubic feet  
15 per minute coming out of Southwest 1. And as you  
16 indicated, Mr. Merrick, earlier that would seem to be a  
17 reasonable estimate based on earlier observations;  
18 nevertheless, it was not a measurement. It was not a  
19 measured data point. Therefore, I felt it necessary to  
20 go on and examine the effects of that 250 cubic feet  
21 minute being some other value.

22 So the calculation, starting about halfway down page  
23 36, is to that end. What I have said here is -- and this  
24 is a similar calculation to the one you refer to on how  
25 much velocity do we need to prevent layering. I'm going

DR. MCPHERSON, EXAM. BY MR. MERRICK

1 to do the same thing now, but instead, I'm going to say  
2 let us accept the measured velocity; let us accept the  
3 width of the airway; let us assume now a layering number  
4 of 6.4 which would have prevented layering and back  
5 calculate what the gas flow would be under those  
6 circumstances.

7 Q. What gas flow that could accommodate safely?

8 A. Exactly. And that is the calculation -- that is the  
9 second calculation on page 36. And this gives us a gas  
10 flow, "U<sub>g</sub>", if layering is not to occur, of 26 cubic feet  
11 per minute. This is approximately only one-tenth of the  
12 250 cfm that I estimated earlier. In other words,  
13 there's a 10:1 margin of conservatism in my estimate of  
14 250 cubic feet per minute. This does suggest to me that  
15 there was a high probability that layering was indeed  
16 taking place out of Southwest 1 into the rising intake,  
17 Southwest 2-B.

18 Q. All right. And I guess I was getting ahead of you.  
19 If we take the amount of gas flow that the general body  
20 of air ventilation that we know existed in those headings  
21 on May the 8th could accommodate, we get a figure of two  
22 -- 26 cubic feet per minute. Just relating that back for  
23 a moment to the rate of gas flow that you've calculated  
24 would occur purely as a result of barometric pressure  
25 drop, we see that the pressure drop -- and that gave us

DR. MCPHERSON, EXAM. BY MR. MERRICK

1 18 cubic feet per minute?

2 A. Yes.

3 Q. We see that the barometric pressure drop alone would  
4 barely have been accommodated by the rate of general body  
5 air flow?

6 A. Yes, sir.

7 Q. So that even if there was no gas at all coming out,  
8 other than through the pressure differential, you'd be  
9 close to -- you would just barely, not just barely, but  
10 you would be just preventing layering of that gas?

11 A. You would be in the same order of magnitude, yes.

12 Q. Okay. Let me just make sure I've got this because I  
13 did fall off at one point there, and I'll admit it.  
14 You've really come at this three ways. You've estimated  
15 the amount of gas coming out of the Southwest district at  
16 the 250 cubic feet a minute. You've supported that  
17 estimate by the calculation of the rate of gas that was  
18 actually being made in the Southwest district using the  
19 figures from April the 2nd. Your estimate is  
20 conservative comparing it, is that right?

21 A. Yes.

22 Q. So using an estimated rate of gas flow, you've run  
23 the formula to see what layering number it gave you and  
24 it gives you three.

25 A. Yes.

DR. MCPHERSON, EXAM. BY MR. MERRICK

1 Q. Significantly lower than it should have?

2 A. Yes.

3 Q. Which would tell you that at a gas rate of 250 cubic  
4 feet a minute, layering is going to occur?

5 A. Yes.

6 Q. Now to double-check that approach, you came at it  
7 from the other end. You said knowing the rate of general  
8 body air flow in the headings, let's calculate what rate  
9 of gas escape could be safely accommodated and mixed?

10 A. Yes.

11 Q. In doing that you came up with 26 cubic feet per  
12 minute?

13 A. Yes.

14 Q. Nothing estimated about that?

15 A. No.

16 Q. And that tells you that if, in fact, your estimate  
17 of 250 cubic feet a minute is coming out of the Southwest  
18 District, no way, Jose, is that going to be prevented  
19 from layering?

20 A. That is my conclusion.

21 Q. Pardon my loose layman's terminology. So your  
22 estimate, the original way you approached it, estimating  
23 250 has got a considerable conservative margin built in  
24 there: 10:1?

25 A. Yes, sir.

DR. MCPHERSON, EXAM. BY MR. MERRICK

1 Q. And then, just to support that, you've done the  
2 calculation as to the amount of gas that would be coming  
3 out purely because the pressure drop that day? And that  
4 pretty well exhausts the ability of the existing air flow  
5 ventilation even if there was nothing else coming out?

6 A. Yes.

7 Q. Okay. Let me ask you one other test that you did.  
8 You have assumed in each of your calculations to get your  
9 layering number, or using your layering number, a  
10 dimension of the roadway of, I think you said, six meters  
11 by 3.5 meters or something. Now that's a standard  
12 measurement that you have from information provided as to  
13 the size of these roadways.

14 A. Yes.

15 Q. But have you double-checked that with the actual  
16 cross-section square feet that have been used on the air  
17 flow measurements taken by the mine?

18 A. We have listed in the air flow measurements, in some  
19 of the earlier ones, the actual square footage is quoted.  
20 In the later ones we have volume flow and velocity. And  
21 if you divide velocity into volume flow, you get the  
22 corresponding cross-sectional area. So one can check  
23 station by station on the actual cross-sections.

24 There's one added point I want to make here, and  
25 that is the cross sections would and did vary from the

DR. MCPHERSON, EXAM. BY MR. MERRICK

1 design values, the original driven cross sections,  
2 because of roof falls which were then cleaned up, because  
3 of additional support -- which would increase the cross-  
4 sectional area, obviously. And then the addition of roof  
5 supports which would decrease the cross-sectional area  
6 because of the actual location of the supports  
7 themselves. The actual cross section available for air  
8 flow is often not precisely defined, because when  
9 additional internal supports are put in after the event  
10 in order to help prevent further roof falls or where roof  
11 falls have already occurred and the roof is additionally  
12 being supported, then there is often space behind and  
13 above those additional roof supports. Those are areas in  
14 which it is quite difficult, Mr. Merrick, to obtain  
15 accurate air volume flow readings because of this  
16 difficulty of ascertaining the cross-sectional area.

17 Q. Generally, though, I take it, that the larger your  
18 cross-section, the more significant your numbers would  
19 have come out? In other words, it would tend to  
20 strengthen the conclusion that there wasn't sufficient  
21 volume to prevent layering. The smaller your dimensions,  
22 the less strong your conclusions would be because it  
23 would tend to increase the velocity.

24 A. If those smaller dimensions were smaller in the  
25 sense of cross-sectional area available for air flow,

DR. MCPHERSON, EXAM. BY MR. MERRICK

1 that is true, but the installation -- let me repeat a  
2 point I made before. The installation of additional  
3 internal arches or any other kind of rigid support does  
4 not necessarily decrease the cross-sectional area  
5 available for air flow because of spaces behind and  
6 above.

7 Q. All right. We'll just note that as a qualifier  
8 recognizing though to the extent that the roadways were  
9 larger because of roof falls, et cetera, it would tend to  
10 increase the effect --

11 A. Yes.

12 Q. -- as your calculations have done.

13 A. Yes.

14 Q. Let me ask you another couple of quick questions on  
15 this layer of methane that, in your -- well, let me back  
16 up. Based on those calculations and that amount of air  
17 flow, and remembering our discussion yesterday about the  
18 effect of air -- the general body air flow on the layer  
19 of methane and how sometimes it would tend to extend it  
20 and other times it would tend to shorten it, what is your  
21 opinion as to whether this would be a relatively extended  
22 and thick layer of methane?

23 A. Well, the two factors that primarily control that,  
24 given the geometry of the airways, accepting that, is  
25 first of all the amount of methane at roof level coming

DR. MCPHERSON, EXAM. BY MR. MERRICK

1 out of the old workings and progressing into Southwest 2-  
2 B. And secondly, the inclination of Southwest 2-B at 13  
3 degrees, we have streaming of methane going up for both  
4 reasons: both because of the buoyancy of the methane, it  
5 would be flowing up there even if there were no air flow  
6 at all, and it would be further assisted to flow uphill  
7 because the air was also ascensional, also going up in that  
8 direction -- number one.

9 Number two -- the fact that we did have air flowing  
10 also up that incline would tend to increase the thickness  
11 of the layer, as we described yesterday, as we go uphill  
12 because of diffusion and particularly eddy diffusion,  
13 forgive me for the technical terms; "turbulence," we  
14 called it yesterday, along the interface.

15 Q. All right. So that this layer can extend right up  
16 to and possibly enter the heading of Southwest 2-1 Road?

17 A. That is a possibility, sir.

18 Q. Now your calculations have told us, or shown us,  
19 that the velocity of the general air body would not be  
20 sufficient to mix the methane and prevent it from  
21 layering?

22 A. Yes.

23 Q. I assume though that there would be some mixing  
24 mechanism that would occur any time there would be  
25 obstructions in that roadway?

DR. MCPHERSON, EXAM. BY MR. MERRICK

1 A. There would be additional turbulence, yes.

2 Q. Yes. So, for example, a boom truck parked in an  
3 intersection would create turbulence in the general body  
4 air flow and might have some degree of mixing effect?

5 A. The boom truck would certainly have that effect, Mr.  
6 Merrick. But additionally, because it was an  
7 intersection; because there was a fairly sudden change in  
8 the direction of the main air flow coming around here,  
9 approximately 145 degrees, because of that sudden change  
10 in direction as well as the position of an obstruction  
11 like the boom truck, the answer is yes, there would be  
12 additional turbulence at that point.

13 Q. All right. What is your opinion as to whether  
14 turbulence points or turbulence factors like that would  
15 themselves have been adequate enough to have mixed the  
16 methane and overcome the deficiency in the air flow of  
17 the general body air?

18 A. It would certainly have some effect, but perhaps not  
19 quite so pronounced as one might imagine. Let me take  
20 two scenarios. One in which the methane layer has been  
21 progressing for some time and for some distance and has  
22 been thickening because of the turbulent mixing. It has  
23 come further down into the entry than it would have been  
24 at the start of the entry, where the layer is thinner.  
25 So if we have a situation, as we may have had at the top

DR. MCPHERSON, EXAM. BY MR. MERRICK

1 of Southwest 2-B, in the position of the boom truck, that  
2 the layer had thickened very considerably by that stage,  
3 then in those circumstances, obstructions such as the  
4 boom truck and sudden changes in direction would further  
5 assist in additional mixing of the air and the methane.

6 If one comes back, however, and takes the scenario  
7 where the methane layer is much thinner, for example,  
8 coming out of the -- immediately coming out of the  
9 Southwest 1 workings, highly concentrated, very thin, and  
10 in that situation we have obstructions or bends, then  
11 those obstructions and bends would have a lesser effect  
12 on the mixing process, because the methane layer is  
13 thinner and more concentrated at roof level.

14 So one has to look not only at the obstructions and  
15 the turbulence caused by them, but also the position and  
16 the relative thickness of the methane layer and the  
17 concentration of gas in the methane layer at that same  
18 location.

19 COMMISSIONER Doctor, could I just go a little bit  
20 further -- not a little bit further, but another area on  
21 that. If you have a thick layer of methane, as you  
22 describe, going out and you -- it comes into a turbulent  
23 situation, whether it be a boom truck or something, would  
24 that not have the effect of the turbulence bringing the  
25 high concentration down to an explosive concentration of

DR. MCPHERSON, EXAM. BY MR. MERRICK

1 methane within that?

2 A. Yes. The phenomenon of layering occurs because of  
3 the fact that the methane gas is considerably lighter  
4 than the air. This is why it happens in the first place.  
5 Now what is happening as you progress along the layer,  
6 and it's getting thicker because of the interfacial  
7 mixing, what is happening there, Mr. Commissioner, is  
8 that you retain a very high concentration right up at the  
9 roof, all the way up, but the gas is mixing more and more  
10 along the interface, and you get a broader transient from  
11 the general body concentration up to roof level.

12 Now because of that mixing process that's going  
13 along continuously and making the layer get thicker, that  
14 means that the gas mixture in that thickening layer is  
15 now approaching, approaching, that density of the air, so  
16 there is a lesser difference in the densities. And this  
17 is why, as the layer gets thicker, it becomes easier for  
18 further turbulent mixing to take place.

19 COMMISSIONER Okay. Yeah.

20 MR. MERRICK But I assume that if you get a point like  
21 a boom truck, it may cause vortexes and swirls that might  
22 bring the explosive, that portion of the layer that's the  
23 explosive range, may come down or be --

24 A. The mixing will be enhanced, indeed, as we said  
25 earlier. Yes.

DR. MCPHERSON, EXAM. BY MR. MERRICK

1 Q. All right. And if you had an ignition point  
2 somewhere in that vicinity, it might well bring the  
3 explosive range down to that ignition point?

4 A. Yes, sir.

5 Q. All right. Let me ask you this question: Bearing in  
6 mind the calculations you've done, what you've seen in  
7 the mine, recognizing that there would be some mixing  
8 points or turbulence points such as boom trucks and turns  
9 in the roadway, what is your opinion as to the  
10 probability on May the 9th, immediately prior to the  
11 explosion, of whether there was a layer of methane gas  
12 coming up the Southwest 2-B Road and possibly into the  
13 Southwest 2-1 Road?

14 A. I think, Mr. Merrick, that the probability of a  
15 methane layer moving from Southwest 1 along this short  
16 length of intake and despite the cross-velocity coming in  
17 from 3 Crosscut, and then propagating by its own buoyancy  
18 as well as by the air motion up Southwest 2-B, I think  
19 the probability of a methane layer existing there was  
20 fairly high.

21 The extent to which that methane layer continued,  
22 if, indeed, it did continue to the point of the boom  
23 truck that we've just been talking about, there would, as  
24 you have correctly stated, been additional turbulence and  
25 therefore additional mixing at that point. Whether the

DR. MCPHERSON, EXAM. BY MR. MERRICK

1 methane layer was able to maintain sufficient of its  
2 integrity to continue up the slope into the ends of the  
3 headings itself, certainly the inclination was there to  
4 cause that to happen, we shall not know.

5 The probability -- the possibility is certainly  
6 there. Whether, in fact, it did happen or whether the  
7 turbulence generated in this region was sufficient to  
8 break up that layer, I doubt if any of us will ever know.

9 If one turns to the Southwest 2-1 Road, this was  
10 level or near level. The roof was actually inclined  
11 laterally because of the inclination of the seam. But in  
12 this direction it is approximately on strike; that is,  
13 approximately level. Therefore, if methane layering had  
14 continued, it would be more probable to continue straight  
15 up, because of the inclination, into the left-hand, if I  
16 can use that word, part that is continuing straight up  
17 Southwest 2-B. It's more probable it continued straight  
18 up than turning to the right and progressing along  
19 Southwest 2-1 Road. I am not saying that that could not  
20 have happened; it could well have happened. But we  
21 simply do not know.

22 Q. All right. Noon break?

23 COMMISSIONER Yeah. We'll recess until 2:00. Thank  
24 you.

25 INQUIRY RECESSED (TIME: 12:35 p.m.)

DR. MCPHERSON, EXAM. BY MR. MERRICK

1 INQUIRY RESUMES (TIME: 2:04 p.m.)

2 COMMISSIONER Mr. Merrick?

3 MR. MERRICK Thank you.

4 Q. Dr. Salamon [sic], just before the noon break, we  
5 had been talking about your opinion on methane layering  
6 in the Southwest 2-B Road. You had done the calculation  
7 for us earlier in the morning that indicated the layering  
8 number that that body of air would give. It was a  
9 layering number of three. To what extent can that  
10 layering number be an indicator of the tendency of the  
11 methane to layer and extend? In other words, the fact  
12 that you've got a layering number of three, does that  
13 give us any indication at all of the tendency of that  
14 volume of air to layer and extend the layer of methane?

15 A. Yes, it does. The original work that is the classic  
16 paper by Baake & Leach that I referred to yesterday and  
17 on which this type of calculation has been based from  
18 then until the present time, this past 25 years or so,  
19 that original and classical work did, in fact, plot the  
20 layering numbers against length of layer; and, secondly,  
21 concentrations at roof level along that layer. It would  
22 be inadvisable to use those actual plots for conditions  
23 other than those in which those experiments were done.  
24 Those were particular sizes and particular inclinations  
25 of experimental on-surface wind tunnels, airways. So one

DR. MCPHERSON, EXAM. BY MR. MERRICK

1 should not use those specific distances and specific  
2 concentrations measured in those experiments as being  
3 uniformly applicable.

4 What we can say is that as the layering number  
5 decreases below the recommended minimum value, then the  
6 methane layer that would then form and exist would both  
7 be longer, the lower the number, and also the  
8 concentrations at roof level would maintain high for a  
9 greater distance.

10 Q. All right, so we can give some significance to that  
11 layering number of three in supporting an opinion as to a  
12 layer in that roadway and the fact that it may well have  
13 extended up some distance into that roadway.

14 A. Yes.

15 Q. All right. Now we talked just before the noon break  
16 about whether your opinion as to the likelihood of that  
17 layer turning the corner on the Southwest 2-1 Road or  
18 continuing, in fact, up the heading of the Southwest 2-B  
19 Road, and you indicated that it was much harder to draw  
20 that conclusion past that junction point of the crosscut.  
21 How difficult would it be -- my question to you, I guess,  
22 is this: well, what if we were to take measurements in  
23 the Southwest 2-1 Road, just as you did in the Southwest  
24 2-B Road, calculate the volume of air moving, the make of  
25 gas, and determine whether or not there would be a

DR. MCPHERSON, EXAM. BY MR. MERRICK

1 layering number of an indicator of the layering that  
2 might occur on the Southwest 2-1 Road up in the heading.  
3 Are there additional difficulties if we were to attempt  
4 to do that type of calculation in that particular  
5 heading?

6 A. I'd like to refer you to the definition of the  
7 layering number again, and if you've got this same page  
8 in front of us, page 36. You recall that the layering  
9 number is calculated on the basis of velocity, width of  
10 entry, and emission of gas in its concentrated form.  
11 Within the headings, we certainly have an indication of  
12 the velocity, that very low velocity, that pertained  
13 within those headings. We know that the width of the  
14 headings. What is extremely uncertain and very  
15 difficult, would be very difficult to put a number on, is  
16 the value of  $Q_g$ , because this is not simply the total  
17 amount of methane being produced in the heading, it is  
18 that amount of method that reaches the roof in  
19 concentrated form and, therefore, is able to form a  
20 layer. Now that would be a number which would be  
21 extremely difficult to estimate.

22 This is one of the reasons we referred to yesterday  
23 why in situations like that the guideline, in the case of  
24 the United States, the mandated methodology, is simply to  
25 quote a minimum value of air velocity.

DR. MCPHERSON, EXAM. BY MR. MERRICK

1 Q. All right. So that's why you have not tried to do  
2 that same calculation in the heading?

3 A. That is correct.

4 Q. Let me ask you one more question dealing with this  
5 layering of gas that you've expressed an opinion on  
6 coming up the Southwest 2-B Road. What effect would  
7 there be if that road had cavities in the roof caused by  
8 falls or other situations?

9 A. Mr. Merrick, I wonder if I could refer you to  
10 Exhibit 37-B, page 225.

11 Q. Yes.

12 A. These are measurements taken and reported in --  
13 COMMISSIONER One second, please. I haven't been able  
14 to locate that yet. Okay, 37-B, at what page?

15 DR. MCPHERSON Page 225.

16 COMMISSIONER Okay, thank you, I have it.

17 DR. MCPHERSON This is a paper written by a gentleman  
18 called E. J. Raine, who was an inspector of mines in the  
19 United Kingdom at the time he wrote this paper. It is a  
20 paper on methane layering and, specifically, practical  
21 measurements taken of methane layers. I asked you to  
22 refer to this page specifically. The geometry is not the  
23 same as the Southwest 2-B roadway, but it does show a  
24 roadway in which the roof is considerably disturbed by  
25 roof cavities. There have been roof falls. And we can

DR. MCPHERSON, EXAM. BY MR. MERRICK

1 see the effect of those roof cavities, that is, that they  
2 fill up with methane, but those roof cavities,  
3 nevertheless, do not prevent the layer from forming or  
4 being maintained. Indeed, this is an even more dangerous  
5 situation because we then have a methane layer which  
6 connects bodies in those cavities, bodies of methane,  
7 therefore, increasing the total volume of methane  
8 available to take part in a flame propagation above that  
9 that would exist purely in the layer and if there were no  
10 roof cavities.

11 Q. In fact, I look at the diagram that he uses there,  
12 and we're not suggesting that it's exactly analogous, but  
13 in the measurements that he took, you might get a methane  
14 in the general body of air of .2 percent as it goes up.  
15 You might get methane percentages, if I'm reading this  
16 correctly, of, say, .04 or .12 or 1.8 in that thin layer.  
17 But in the pockets themselves, you're getting very high  
18 readings.

19 A. Yes, sir.

20 Q. Up as high as 78 percent, 60 percent, 50 percent,  
21 55, et cetera. So that's quite a mass of methane that if  
22 an ignition should occur with the mixing motion that  
23 takes place with an explosion or an ignition, that would  
24 be a tremendous body of gas available to be mixed into  
25 the explosive concentrations.

DR. MCPHERSON, EXAM. BY MR. MERRICK

1 A. Indeed.

2 Q. All right. And my last point on this, and I think  
3 this is sort of addressing it, I assume that merely  
4 because there are cavities in the roof does not  
5 necessarily increase or take the place of the mixing  
6 motion that velocity normally should have.

7 A. There are two factors here, one we've already  
8 referred to and that is that those roof cavities provide  
9 additional accumulations of gas. The second effect is  
10 that the presence of those roof cavities indicates that  
11 the roof was not a smooth surface. The roof is never a  
12 smooth surface, but in situations like that it is even  
13 rougher than normal. If there is a sufficiently high  
14 velocity to create turbulence, mixing turbulence of the  
15 type we referred to and we have an undulating or very  
16 rough roof condition, then the turbulence caused by that  
17 rough roof would be enhanced. Rough sides, rough  
18 surfaces, increased turbulence, is why we have fins on  
19 radiators to do exactly the same thing. That is in a  
20 condition of normal air flow through an airway duct,  
21 whatever.

22 Where we have a methane layer in existence, I would  
23 like you to look at 37-B, page 220. Do you have that?

24 Q. Yes.

25 A. This is from the same paper by Mr. Raine that we

DR. MCPHERSON, EXAM. BY MR. MERRICK

1 just referred to, and Diagram D, bottom right-hand  
2 corner, shows a methane layer in shaded region with the  
3 concentrations of methane at varying horizons through  
4 that layer. And underneath that shaded region showing  
5 the methane are dotted lines, these representing velocity  
6 contours. So each dotted line represents an envelope of  
7 velocity. The point I wish to make here, Mr. Merrick, is  
8 that up in the methane layer, the air movement, the air  
9 velocity and the turbulence which would normally be  
10 associated with it is confined below the layer. So  
11 roughnesses in the roof within the layer are going to  
12 have little effect on additional turbulent mixing.

13 Q. In effect, is it fair to say that the methane layer  
14 fills in the roughnesses and, in effect, smoothes it out  
15 for the layer to continue to stream upward?

16 A. It is sometimes being referred to as a lubricating  
17 effect for the air. The air slides underneath it.

18 Q. A lubricating effect. All right, thank you. Now  
19 we, therefore, have, in your opinion, a layer of methane  
20 coming up in the road in the time immediately prior to  
21 the May 9th explosion.

22 Let me talk just for a few minutes about coal dust,  
23 and then we'll get to your views on the mechanism of the  
24 explosion itself. We've heard evidence about the methods  
25 of dusting and stone dusting coal dust. I won't get you

DR. MCPHERSON, EXAM. BY MR. MERRICK

1 to describe for us how that's done because I think we've  
2 had some background evidence on that. But I would ask  
3 you this: How adequate is it if one were to put down a  
4 layer of stone dust, how important is it to have your  
5 stone dusting completely mixed with the coal dust?

6 A. It is, indeed, important that that mixing should  
7 take place. A layer of coal dust sufficiently thick to  
8 be visible; that is, a very thin layer of coal dust, even  
9 if it has been deposited on underlying stone dust/coal  
10 dust mixtures, even that thin layer, visible, thin layer  
11 of black coal dust, would be sufficient to, if raised  
12 into the air, would be sufficient to propagate a coal  
13 dust explosion.

14 Q. What you're suggesting to me, and correct me if I'm  
15 wrong, is that even if you stone dust today, if you're  
16 continuing to make coal dust or coal dust continues to  
17 settle out, that may not be adequate tomorrow.

18 A. Exactly. And this is particularly pertinent where  
19 you have coal transportation systems at Westray along the  
20 belt lines.

21 Q. And those are areas we've already heard are  
22 particular dust collection points, I guess, they can be  
23 called.

24 Let me direct, if I can find my correct reference  
25 here, to the Manager's Safe Practice Rules. They are in

DR. MCPHERSON, EXAM. BY MR. MERRICK

1 37-A and, in particular, at page 123. That purports to  
2 be the rock dusting procedures set out by Westray  
3 management?

4 A. Yes.

5 Q. I'll just ask you to comment on those rules and the  
6 adequacy of those rules?

7 A. They are a reflection of the Nova Scotia Coal Mine  
8 Regulations with respect to the concentrations of  
9 incombustible, therefore, combustible dust in mine  
10 airways, coal mine airways. So they are an accurate  
11 reflection of the law.

12 Q. And I assume that if they were to be correctly and  
13 religiously followed, that, in your opinion, would they  
14 be an adequate set of rules for stone dusting?

15 A. With one added proviso that seems not to be included  
16 in the Act, and that is that the application of stone  
17 dust should be done at regular intervals of time. The  
18 relevance of that additional comment is that a sample  
19 that is taken by scraping into or digging into deposited  
20 dust may be looking at dust that has been deposited last  
21 week, last month. Whereas it is the most recently  
22 deposited dust that is the dangerous or if mixed with  
23 stone dust, not a dangerous mixture.

24 Q. Okay. Let's talk about the testing or the sampling  
25 process and in your report you, in fact, refer to two

DR. MCPHERSON, EXAM. BY MR. MERRICK

1 sets of samples that were taken prior to the explosion.  
2 The sampling such as is referred to in your report, the  
3 purpose of that, I take it, is to determine the amount of  
4 incombustibles mixed with the coal dust?

5 A. Yes, in my report, I have used the combustible  
6 percentage.

7 Q. And you also describe in your report the physical  
8 mechanism by which the addition of stone dust inhibits  
9 coal dust explosions, sort of, in effect, providing a  
10 filler between coal dust particles and also being a damp  
11 or absorbs the heat. And we won't need that, but let's  
12 talk about the testing procedures themselves, the results  
13 of which you report on. Tell me briefly the testing  
14 mechanism once you have a sample.

15 A. Again, let me use the board on this one. The  
16 powdered sample of dust, the mixture of whatever those  
17 dusts are, is placed in a small crucible, a small weight,  
18 a few grams, and that crucible is heated at -- various  
19 testing laboratories have a somewhat different  
20 procedures. In Nova Scotia law, it is specified that the  
21 initial heating be done at 212 degrees Fahrenheit. That  
22 is 100 degrees Centigrade. And the purpose of that is to  
23 drive off the moisture. The sample is weighed before and  
24 after, and the difference in the weight is clearly the  
25 amount of moisture that has been driven off. That is

DR. MCPHERSON, EXAM. BY MR. MERRICK

1 expressed as a percentage of the weight of the original  
2 sample and, therefore, we have a percentage weight of  
3 moisture driven off.

4 The Westray samples were of the order of three  
5 percent moisture. There are variations, but they were of  
6 that order.

7 The second process is to take that now dried sample,  
8 the same sample, but it's now dried, and to heat it to a  
9 greater temperature, normally, somewhere between 500 and  
10 800, 900 degrees Centigrade. Again, different  
11 laboratories have their different procedures, their  
12 different temperatures. This brings the crucible and its  
13 contents to a dull red heat, a bright red heat, depending  
14 where you are on this scale of temperature. And that  
15 burns off anything that is readily oxidized. This burns  
16 off, specifically, the coal dust. So we're then left  
17 with the crucible with just the small amount of ash left  
18 in there. The difference in weight between stages 2 and  
19 3 is the weight of the coal that has been burned off and  
20 no longer exists in the sample. That is the percentage  
21 when expressed as a percentage of the original, that is,  
22 the percentage of combustibles in the sample. We're then  
23 with the weight of the inert material, sometimes referred  
24 to as simply the ash content.

25 So we have three numbers. We have the moisture

DR. MCPHERSON, EXAM. BY MR. MERRICK

1 content. We have the combustibles, and we have the final  
2 ash or inert. Very often these two, the moisture and the  
3 ash, are added together and referred to as the  
4 incombustible content. So when we, as we usually do,  
5 refer to the combustible and the incombustible, adding  
6 together to make 100 percent, the combustible is this  
7 part; the incombustibles are these two added together.

8 Q. So moisture is to be taken into account in  
9 determining the ratio of incombustibles?

10 A. Yes, sir.

11 Q. All right. Now we see in the test literature that  
12 there is both a high temperature and a low temperature  
13 method of doing this. What's meant by that?

14 A. It's referring to the choice of temperature in this  
15 range. The argument, and I have seen this continued to  
16 be debated, the argument is that at the low end of this  
17 temperature range, the coal dust will be burned off, and  
18 the limestone dust, which is the stone dust, will be  
19 unaffected.

20 As you continue to increase this temperature, and in  
21 that situation that would be referred to as the low  
22 temperature test. At higher temperatures, there is the  
23 possibility, and this is where argument still exists,  
24 there is a possibility that some of the limestone dust  
25 will be dissociated, chemically disassociated, and some

DR. MCPHERSON, EXAM. BY MR. MERRICK

1 of the carbon dioxide from that stone dust will be driven  
2 off; therefore, giving a small but measurable additional  
3 loss of weight. So one would normally expect to see  
4 small differences between the low temperature burning of  
5 combustibles and the higher temperature burning of  
6 combustibles. This is why we refer to the low  
7 temperature or high temperature test.

8 Q. And, therefore, we should expect to see the  
9 difference, for example, the high temperature test  
10 tending to give a slightly lower ratio of incombustibles  
11 to combustibles?

12 A. Yes.

13 Q. A lesser amount of incombustibles in ratio to the  
14 combustibles?

15 A. Yes.

16 Q. Now this is where I'm going to get you to patiently  
17 take us through the two tables that you have set out on  
18 your report at page 19. And, as I understand it, Dr.  
19 McPherson, what you have done is you have looked at the -  
20 - There were two sets of samples taken. One was on April  
21 the 29th, 1992, one was on May the 8th, 1992. And you  
22 describe in your report at page 19, basically, where  
23 these samples -- how they were handled and where they  
24 were sent.

25 The first set, April the 29th, 1992, were analyzed

DR. MCPHERSON, EXAM. BY MR. MERRICK

1 at one lab.

2 The second set, the ones taken on May the 8th, the  
3 day prior to the explosion, were divided up into four  
4 amounts and sampled at four separate labs. And I will  
5 state for the record and by way of explanation to you,  
6 that that occurred at that time because at the time the  
7 samples were analyzed, the explosion had occurred. There  
8 were various parties to the various investigations  
9 already in existence, and to ensure that everybody had  
10 their own coal dust sample to analyze, each one was given  
11 one quarter. The RCMP were given a portion; the Inquiry  
12 was given a portion; the Department of Labour was given a  
13 portion; and I for -- I guess the mine was given a  
14 portion; thus, the reason for four separate laboratories  
15 performing analyses on the one set of samples.

16 Now as I understand it, your tables on page 19 are  
17 your compilation of the test results. And you have set  
18 them out in this way to make it easy for us to see the  
19 comparison between the various tests that were carried  
20 out, is that correct?

21 A. Yes.

22 Q. All right. What I would like you now to do is take  
23 me to the test result documents themselves as they appear  
24 in the exhibit and show us the test results that you're  
25 referring to and correlate them to the numbers that are

DR. MCPHERSON, EXAM. BY MR. MERRICK

1 contained in your report. And can we start with the ones  
2 taken on April the 29th.

3 A. [No audible response]

4 Q. If that's convenient.

5 A. That's fine. Table 5.1, in that case, we're looking  
6 at. These are the four samples taken at the locations  
7 indicated in that table, specifically, No. 2 Slope outbye  
8 9 Crosscut on the floor and the rib. Southwest A Road  
9 inbye 1 Crosscut floor and grid.

10 Q. Just to help me. Locate that on the map for me.

11 A. No. 2 Slope outbye Crosscut 9. No. 2 Slope outbye  
12 Crosscut 9. No. 2 Slope is the conveyor slope. This is  
13 Crosscut 9.

14 Q. Yes, all right.

15 A. And the other one was Southwest A Road inbye 1  
16 Crosscut. Southwest 1. Where is Southwest 1?

17 Q. You may find it easier on that map above which is  
18 the larger diagram. Larger scale.

19 A. I'm looking at the wrong thing anyway. It's  
20 Southwest A Road. Yes.

21 COMMISSIONER Southwest A Road or Southwest 1?

22 A. I have denoted as Southwest A Road, Commissioner.

23 COMMISSIONER Okay.

24 MR. MERRICK There is a Southwest 2-A Road.

25 A. Yes, that is probably the one because we have a

DR. MCPHERSON, EXAM. BY MR. MERRICK

1 Crosscut 1 which is this one. So the position seems to  
2 have been right there.

3 Q. All right. Okay.

4 A. I'd like you to turn to Exhibit 37-A, page 190.

5 COMMISSIONER 37-A.

6 MR. MERRICK Just for information purposes, page 188,  
7 that exhibit apparently has a memo --

8 A. Um-hmm.

9 Q. -- that describes the taking of the samples  
10 themselves and the sampling of it. All right. For those  
11 who want to have a little background of that, that  
12 document is there. Okay, we're at page 190.

13 A. The four samples are listed there. Let us take the  
14 first of them. This is showing an ash content of 23.76.  
15 The moisture content, number one part on the board here,  
16 was not measured for any of these samples. And the memo  
17 that you referred to on page 188 reflects that missing  
18 moisture content.

19 Q. And if we look at that memo, we'll notice that,  
20 first, the samples apparently were not analyzed for a  
21 period of time --

22 A. Yes.

23 Q. -- and then there was no attempt made to measure the  
24 moisture, so comments are made that the results may be  
25 skewed a little bit by not having the moisture content.

DR. MCPHERSON, EXAM. BY MR. MERRICK

1 All right.

2 A. That is correct. So we have --

3 Q. What --

4 A. We have a missing moisture content and the 23.76 is  
5 this final part only.

6 Q. Yes.

7 A. I have assumed the moisture content, Mr. Merrick,  
8 based on the moisture contents that were actually  
9 measured on the samples referred to lower down the page.

10 Q. All right.

11 A. And on the basis of that guidance from those other  
12 samples, I've assumed a moisture content of three per  
13 cent. All of my tables report these results in terms of  
14 combustible, because this is the sense in which the law  
15 is written with respect to combustibles rather than  
16 incombustibles. The difference is simply taking one  
17 number away from 100.

18 So let us take, for example, the first sample  
19 reported on page 190, 23.76 percentage of ash. I've  
20 added to that three per cent moisture, making 26.76 per  
21 cent incombustibles, giving me 26.76 incombustibles. The  
22 remainder is therefore the combustible part. So if we  
23 take 100 minus 26.76, we arrive at 73.24 per cent  
24 combustible content. And that is the first number given  
25 in my table.

DR. MCPHERSON, EXAM. BY MR. MERRICK

1 Q. And you've just rounded it down?

2 A. Yes, sir. To the nearest whole number.

3 Q. And you've done that with each of the next three?

4 A. I've done that with each of the next three and the  
5 calculation has been the same. I would ask the  
6 Commission to make one alteration to my table there, the  
7 bottom number. The 67 per cent. In checking these  
8 numbers, that should actually be 64 per cent.

9 Q. Okay. So we take out at the 67 and put in 64. One  
10 other thing we should note is that in setting out the  
11 numbers that you have in your table, you haven't quite  
12 set them out in the same order that the test results  
13 appear on page 190.

14 A. That is correct. Yes, I have not.

15 Q. And following your guide, if I can suggest that on  
16 page 190 we look at each of those test results and number  
17 them 1, 2, 3, 4, and then if we number the test results  
18 as shown on your report, they should be 1, 4, 3, 2, is  
19 that right?

20 A. That is correct.

21 COMMISSIONER That's the first table?

22 MR. MERRICK The first table.

23 COMMISSIONER 1, 4, 3, 2.

24 MR. MERRICK And that way we can then compare them  
25 correctly. All right.

DR. MCPHERSON, EXAM. BY MR. MERRICK

1 A. Thank you.

2 Q. Now the bottom line conclusion, accepting for a  
3 moment that we've made that three per cent moisture  
4 adjustment, is that the com -- well, let me ask you: What  
5 is your conclusion as to what these test results -- these  
6 samples taken on April the 29th indicate as to the  
7 adequacy of stone dusting where the samples were taken?

8 A. Well, the regulations require that the combustible  
9 content be not more than 35 per cent in the absence of  
10 methane. And if methane is present, then that  
11 combustible content is reduced even further. That  
12 allowable combustible content is reduced even further.  
13 But let us hold to the 35 per cent, assuming there's no  
14 methane present. We can see that the combustible  
15 contents reflected in these samples are very considerably  
16 greater than 35 per cent, and in two cases, approximately  
17 double the legal allowable limit.

18 Q. All right. Let me take you to the second set of  
19 tests that were conducted on samples taken on May the  
20 8th. Now this is going to get just a little more  
21 confusing, so we'll go through it slowly. If you can  
22 show us, in the exhibit book, each set of tests and  
23 correlate it to your tables -- just before you do, on  
24 your table itself is there one other number that should  
25 be corrected there or numbers that should be corrected

DR. MCPHERSON, EXAM. BY MR. MERRICK

1 before we start going through our analysis?

2 A. There are indeed. Let me say that because of the  
3 procedure that was used, Mr. Merrick, of dividing this  
4 sample into components for each of the interested parties  
5 and each of those parties sending them off to  
6 laboratories of their own choice, what we have in the  
7 exhibits is a somewhat confusing series of reports from  
8 these various laboratories. They all report in different  
9 ways. They all have slightly different methodologies.  
10 And, indeed, in two cases reports came back on the same  
11 samples, including the same results, but in a different  
12 letter format and these appear as different exhibits even  
13 though they are referring to the same samples. The whole  
14 thing was very confusing, and I would ask the Commission  
15 to bear with me while we go through this.

16 Q. All right. First, should we make a correction on  
17 that table?

18 A. I would like to make two corrections. First of all,  
19 the -- let me first describe the table, Mr. Merrick.

20 Q. All right.

21 A. There are four samples, and we're looking across the  
22 top of the table now. The four samples are given by  
23 name. One Main outbye 10 Crosscut. This is in No. 1  
24 Slope. DS-3. Dust Station 3. "F" for floor.

25 And the second numerical column is the same location

DR. MCPHERSON, EXAM. BY MR. MERRICK

1 but the sample taken on the side, the rib.

2 The third column is 3 North Main outbye 2 East.

3 Dust Station 4. "F" for floor sample.

4 And the last one is the same location but with the  
5 sample taken on the sides. The rib.

6 Q. Can I -- can we assume that because they are now  
7 referring -- these locations would have come from Westray  
8 themselves? Dust Station 3 and Dust Station 4.

9 A. Yes.

10 Q. I assume that indicates that they were, in fact,  
11 beginning to establish a more regularized dust sampling  
12 program?

13 A. Just as they had ventilation stations, just as they  
14 had monitoring stations, they also had dust measuring  
15 stations.

16 Q. All right. Okay.

17 A. Okay. And down the -- I think the other two columns  
18 on the left-hand side are self-explanatory. One refers  
19 to the laboratory where the sampling was done, and the  
20 second one is the date.

21 Q. Now we've got five laboratories, but two of those  
22 are the same: the TSRE are the one laboratory, I take it?

23 A. Yes, sir.

24 Q. Okay. Thank you.

25 A. Now let me make the corr -- having identified what

DR. MCPHERSON, EXAM. BY MR. MERRICK

1 the columns are, let me make the corrections I would ask  
2 you to make. First of all on the first numerical row,  
3 that is, Lab CRE, there are numbers given under the low  
4 temperature heading in each of the four columns. The  
5 first is 42.8. Do you have that?

6 Q. Yes.

7 A. The second is 39.9. Reading across to low  
8 temperature. Third is 68 and the fourth is 65.1. I  
9 would ask you to erase those four numbers. The reason  
10 that they were in there was because of the confusion I've  
11 already spoken to. This is one of the laboratories that  
12 reported twice, and this resulted in a confusion of these  
13 numbers.

14 Q. All right.

15 A. The second correction I would ask you to make is on  
16 the row underneath. CBDC Laboratory. Yes?

17 Q. Yeah. Got it.

18 A. Read across to the 35.5.

19 Q. Yes. That's under the --

20 A. "Low temperature."

21 Q. -- rib? Yeah, got it.

22 A. Yes. That should be 32.5. I apologize for that.  
23 That was a straight typographical error.

24 Q. Okay.

25 A. Now because of the four numbers that we eliminated,

DR. MCPHERSON, EXAM. BY MR. MERRICK

1 that has changed the average, the bottom row, for the  
2 relevant columns. Reading across, the 42.3 becomes 42.1.

3 Q. Yeah.

4 A. The 35.9 becomes 34.9. Yes?

5 Q. Um-hmm.

6 A. The 67.4 becomes 67.2. And the last one, 64 becomes  
7 63.7.

8 Q. All right.

9 A. I ask your forbearance for making these corrections.  
10 They are -- they do not alter, at all, the conclusions.  
11 The averages have changed very little at all. But we  
12 have made those corrections for the purposes of accuracy  
13 of the record.

14 Q. Okay.

15 A. Okay. Now let us take each of those rows one by  
16 one. Let's take a look at the CRE Laboratory samples.  
17 And I would ask you to turn to page 201 in 37-A.

18 Q. Okay. Got it.

19 A. We have four samples reflected on that page. The  
20 last column is the combustible matter. And if you care  
21 to read across my row for CRE on my Table 5.2, you will  
22 see that these do indeed correlate with the numbers given  
23 on the exhibit.

24 Q. Again, your order is slightly different than theirs,  
25 but the numbers are all sourced there?

DR. MCPHERSON, EXAM. BY MR. MERRICK

1 A. We shall find this all the way through, Mr. Merrick,  
2 because of --

3 Q. All right.

4 A. -- the various ways in which these things were  
5 reported to us.

6 Q. To put them in the table you had to use a common  
7 format? Okay.

8 A. Yes, sir.

9 Q. All right. So that answers your numbers on CRE?

10 A. Yes.

11 Q. Okay.

12 A. The Cape Breton Development Corporation numbers, in  
13 the next row. I would ask you to turn to page 198.

14 Q. Got it.

15 A. And, again, we're looking at the last column on this  
16 page. Let's take the first pair of numbers. These were  
17 two tests done on one of the samples, "DS-3 R." And the  
18 reported combustibles: 32.48 and 32.59. I've taken the  
19 average of those: 32.54. And this is where the 32.5, one  
20 of those that we altered, appears on my table.

21 Q. All right, I follow you. And, again, you've  
22 rounded it down to the one --

23 A. First --

24 Q. -- decimal place?

25 A. Yes, sir.

DR. MCPHERSON, EXAM. BY MR. MERRICK

1 Q. Okay.

2 A. And the --

3 COMMISSIONER Where does that appear? On Table 5.2, is  
4 it?

5 A. Yes, sir.

6 COMMISSIONER And we're looking for?

7 A. CBCD.

8 COMMISSIONER Yeah, okay.

9 A. Under "low temperature." Second numerical column  
10 along.

11 COMMISSIONER Oh, that's 38.5. The one we just changed?

12 A. 32.5.

13 COMMISSIONER 32.5. I'm sorry. Yeah.

14 A. Yes, sir.

15 COMMISSIONER Okay.

16 MR. MERRICK Because that's the sample that they  
17 identify on page 198 as being the DS-3 R. Dust Station 3  
18 Rib. And they did the two readings and you've averaged  
19 them?

20 A. Yes.

21 Q. All right. And I take it we can do the same for  
22 each of their -- they've done two readings on each of the  
23 location samples. DS-4 R. They've got the two readings:  
24 62.32 and 62.18. You've averaged them. DS-4 R at 62.2?

25 A. Yes, sir.

DR. MCPHERSON, EXAM. BY MR. MERRICK

1 Q. All right. So that takes us across that row.

2 A. "TSRE," the first row referring to TSRE. Please  
3 turn to page 205. And we have two samples analyzed and  
4 reported on this page. The first is DS-3 roof.

5 Q. That's right in the middle of the page?

6 A. Right in the middle of the page. And the mean  
7 percentage incombustibles you'll note is 56.1. That is  
8 incombustible. So to get the combustible, 100 minus 56.1  
9 is 43.9, and that is where the 43.9 comes from on my  
10 table.

11 Q. So they reported on that one location sample, but  
12 they reported on both a high temperature and a low  
13 temperature test?

14 A. Yes, sir.

15 Q. I follow you. And the second result that they show  
16 down there on the same sample is for the low temperature  
17 test?

18 A. Yes.

19 Q. And you've taken their reporting on the combustible.

20 A. They're reporting 64.9 incombustible.

21 Q. Incombustible.

22 A. So subtract that from 100 and you get 35.1  
23 combustible content.

24 Q. Okay. Got it.

25 A. Let me point out that this same data is given on

DR. MCPHERSON, EXAM. BY MR. MERRICK

1 page 221 of this exhibit. There's no need for us to go  
2 through that; it is the same data. I point it out to  
3 prevent any further confusion. It is -- page 221 is not  
4 a separate sample, it's the same data.

5 Q. Got it. All right.

6 A. That brings us down to Lab Canada. Those results  
7 are reported on page 218. Tests done by the Government  
8 of Canada. The four samples have been -- each of them  
9 has been analyzed three times. Let us look at the larger  
10 table on this page and the first group of three numbers.  
11 These are the three analyses of sample DS-4 R. Yes?

12 Q. Under "Crucible 10, 11, and 12"? Yes.

13 A. Yes, sir.

14 Q. Okay.

15 A. Again, look at the final column and, again, they are  
16 reporting total inert; that is, total incombustibles.  
17 I've taken the average of those three numbers, 36.12,  
18 36.23 and 36.78. The average is 36.34. Subtract that  
19 from 100, gives us 63.6 combustibles. And this is where  
20 the 63.6, under that appropriate column, in my table  
21 comes from.

22 Q. Yeah, because those three were identified as samples  
23 taken from DS -- Dust Station 4 R?

24 A. Yes, sir.

25 Q. All right. And I take it you've done the same thing

DR. MCPHERSON, EXAM. BY MR. MERRICK

1 then for each of the other three location samples?

2 A. Yes.

3 Q. All right. Take me to the last TSRE.

4 A. The last one is another TSRE. And this is reported  
5 on Exhibit -- page 202.

6 MR. MERRICK Yeah.

7 A. Bottom of the -- bottom third of the page gives two  
8 tables: one referred to as "Table A" and "Table B." Do  
9 you have those?

10 Q. Yes.

11 A. Table A refers to the high temperature tests. Table  
12 B, to the low temperature test. Under Table A, there is  
13 a row of the mean incombustibles. The first number is  
14 56.1. This is DS-3 Floor.

15 Q. Yes.

16 A. Again, subtracting that from 100 gives us 43.9.  
17 That is the 43.9, the first number, shown in that row on  
18 my table.

19 Q. Okay.

20 A. The other seven numbers are obtained in the same  
21 way.

22 Q. All right.

23 A. I'd also point out, Mr. Merrick, that this same data  
24 is repeated on page 220. And, again, I point that out to  
25 prevent any, hopefully, further confusion.

DR. MCPHERSON, EXAM. BY MR. MERRICK

1 Q. All right.

2 A. The samples reported on 220 are the same samples,  
3 the same results that we just looked at.

4 Q. And, again, by looking at both Tables A and B, we  
5 can then fill in the numbers across for both high  
6 temperature and low temperature samples?

7 A. Yes.

8 Q. And, again, looking at the sample results, what  
9 conclusions can we draw as to the adequacy of stone  
10 dusting in the areas where those samples were taken on  
11 the times when those samples were taken?

12 A. Again, let us remind ourselves that the legal limits  
13 for combustibles, even in the absence of methane, is 35  
14 per cent. We can see that the majority of the samples  
15 are above that legal limit. And in particular, the  
16 samples taken in the North Main are, again, approaching  
17 twice the legal limit. This does tend to indicate that  
18 at least in the North there was very little, if any,  
19 stone dusting being carried out.

20 Q. I'm going to ask your general opinion on this in a  
21 minute, but just before I do, you make a comment on the  
22 very bottom of page 19 that I think is significant; where  
23 you refer to the ash content of Westray coal. And I  
24 assume what you're talking about there is that the coal  
25 itself, without the addition of stone dusting, has a

DR. MCPHERSON, EXAM. BY MR. MERRICK

1 certain ash content?

2 A. Yes.

3 Q. You have been advised by Professor Amyotte and you  
4 have also been informed of a statement which has been  
5 attributed to Mr. Phillips -- let me start with Amyotte.  
6 That Amyotte has reported that the inherent ash content  
7 of Westray coal was 20 to 30 per cent on its own.

8 A. Yes.

9 Q. And that Mr. Phillips has made the comment that  
10 Westray ash [sic] has contents in the range of 25 to 50  
11 per cent.

12 A. Yes.

13 Q. In your testing procedure that you described, I take  
14 it that the amount of incombustibles that you would be  
15 left with would include this inherent ash content that  
16 was in the coal to begin with?

17 A. Yes.

18 Q. So that when we look at the amount of incombustibles  
19 that are left, only some of that has come from the coal  
20 and only some of it, the remainder of it, may have come  
21 from stone dusting?

22 A. That is correct.

23 Q. So I take it what that tells us is that when we look  
24 at these numbers, when we see that the incombustible  
25 content was below where it should have been, we can draw

DR. MCPHERSON, EXAM. BY MR. MERRICK

1 the conclusion that stone dusting didn't even account for  
2 that amount of incombustible?

3 A. Right.

4 Q. Stone dusting would have accounted for even a lesser  
5 amount?

6 A. Indeed, yes.

7 Q. So that there is -- all right.

8 COMMISSIONER So if the amount of incombustibles was,  
9 let's say, 40 percent, as shown on the table, and we  
10 subtract from that the 30 percent ash, then the stone  
11 dusting would have amounted to just 10 percent?

12 A. Exactly.

13 MR. MERRICK I take it with this one qualification, if  
14 it's 20 percent ash in the coal, that's 20 percent of the  
15 coal. So it's not a straight percentage conversion. Do  
16 you follow me?

17 A. No.

18 Q. Maybe it is. I've got to stop letting my physics  
19 100 keep popping up here. If 20 percent of your coal is  
20 ash, and if you take a sample that does, in fact, have  
21 some stone dust in it, the ash content of the coal will  
22 not be 20 percent of your sample. It's only 20 percent  
23 of the coal. Do you follow me? Don't let me bog us  
24 down.

25 A. Let me give you a specific example. Let's put

DR. MCPHERSON, EXAM. BY MR. MERRICK

1 numbers to it to illustrate what I think your point is.  
2 If we took a sample that indicated 70 percent  
3 combustibles, 70 percent coal, let's call it coal, and 30  
4 percent incombustibles, if we got that result from a  
5 sample and the coal seam from which that coal dust has  
6 originated, itself, contained 20 percent ash, following  
7 the Commissioner's example here, this would mean that we  
8 have 70 percent coal, 20 percent ash from the original  
9 coal seam. That only leaves 10 percent of the  
10 incombustibles that could have come from stone dust.

11 Q. All right, I'll stay out of the way. Bearing that  
12 in mind and taking that adjustment into account and  
13 looking at these figures, give me your opinion as to the  
14 adequacy of stone dusting that was occurring in this mine  
15 as reflected in these samples?

16 A. Well, it was clearly inadequate, Mr. Merrick. In  
17 the one main, this is the main slope intake that has not  
18 been subjected to coal dust from a conveyor or from  
19 workings, this is intake air before it reaches any of the  
20 workings or reaches any conveyor, one would expect the  
21 combustible content there to be, indeed, pretty low.  
22 And, indeed, it is lower than in the North samples. But,  
23 nevertheless, it is still above the legal limit in those  
24 floor samples. I'm looking at the averages, 42.1 and is  
25 just on the legal limits, 34.9 as against 35 for the rib

DR. MCPHERSON, EXAM. BY MR. MERRICK

1 samples. That is in the main intake.

2 And, of course, I'm repeating myself here but when  
3 we look at the North Main, we are well over approaching  
4 maybe twice the legal limits of 35 percent. So the  
5 conclusion is inescapable, that there was very little, if  
6 any, stone dusting being carried out in the North.

7 Q. All right. Your general opinion, Dr. McPherson,  
8 assuming that to be the case, I take it that stone  
9 dusting normally lightens the colour of the coal or  
10 lightens the colour of the coal dust.

11 A. Yes.

12 Q. If, in fact, there was as little stone dusting  
13 taking place as these test results indicate, I assume  
14 that would be visibly obvious in the sense that you'd be  
15 looking at very dark coal dust as opposed to a light grey  
16 coal dust that should be the appearance with adequate  
17 stone dusting?

18 A. Yes.

19 Q. So that visibly it should have been readily apparent  
20 whether there was adequate -- It should have been readily  
21 apparent that this little stone dusting was taking place.

22 A. Yes, indeed. One of the side advantages of stone  
23 dusting, quite apart from its major purpose of helping to  
24 suppress coal dust explosions, is that it does improve  
25 visibility in the mine because it gives a greater

DR. MCPHERSON, EXAM. BY MR. MERRICK

1 reflectance to light from miners' cap lamps and other  
2 light sources.

3 Q. You refer in your report, I believe, to the fact  
4 that there were orders given to Westray by the Department  
5 of Labour relating to stone dusting.

6 A. Yes, sir.

7 Q. I'm going to ask you to turn to Exhibit 37-A at page  
8 227. The first two pages are inspection report forms and  
9 are dated April the 29th, 1992, and they will speak for  
10 themselves. The last two pages are order forms, again  
11 dated the same date and apparently as a result of the  
12 visit that's referred to in the inspection reports. On  
13 those two pages, pages 229 and 230, I see that four  
14 separate orders were made dealing with dusting, and as we  
15 look at the body of the order forms, just below there we  
16 see the time period in which they were to be carried out.  
17 Orders 1 and 2 were to be carried out immediately.  
18 Orders 3 and 4 were to be carried out on or before May  
19 15th. Orders 1 and 2, we can read for ourselves. I'm  
20 not going to suggest that these were the only  
21 communications that took place between the Department and  
22 the mine relating to dusting, and we will follow up with  
23 others, the giving of these orders and the reaction to  
24 these orders, but these are the orders that you, I think,  
25 referred to briefly in your report.

DR. MCPHERSON, EXAM. BY MR. MERRICK

1 A. These are the orders I refer to on page 20, yes.

2 Q. All right, I won't ask you any further comments  
3 about those. Others can speak to them in more detail.

4 Now I want to come to your opinion as to the  
5 explosion and how it occurred and propagated. Maybe this  
6 would be, if we're going to break, this would be an  
7 appropriate time to break.

8 COMMISSIONER Okay, we'll take 10 minutes then, sure.

9 INQUIRY RECESSES (TIME: 3:08 p.m.)

10 INQUIRY RESUMES (TIME: 3:22 p.m.)

11 COMMISSIONER Okay, Mr. Merrick?

12 MR. MERRICK Dr. McPherson, in your report, you  
13 describe in your opinion how the explosion of May the 9th  
14 initiated and propagated through the mine. I would ask  
15 you perhaps to just take us through it in your verbal  
16 evidence. Based on all the information that we've gotten  
17 out on the table to date, what is your opinion as to how  
18 that mine exploded?

19 A. I'm going to refer to Section 9 in my report, Mr.  
20 Merrick, and I think the best answer I can give to your  
21 question is to talk through that section of the report.

22 As an overview statement, before getting to any  
23 details, the probable scenario is that there was an  
24 initial ignition of methane gas which in turn  
25 communicated its flame to larger accumulations of gas,

DR. MCPHERSON, EXAM. BY MR. MERRICK

1 sufficiently large and sufficiently well mixed with the  
2 air such that they were in the explosive range as to  
3 produce a methane gas explosion. As so often has  
4 happened in the past, that methane gas explosion provided  
5 the sufficient amount of energy to initiate a coal dust  
6 explosion. That coal dust explosion then propagated  
7 throughout most of the mine. Now let me come to some of  
8 the details to fill in that skeleton.

9         It is my opinion that the most probable location of  
10 the initial ignition was in the Southwest 2 area. The  
11 question that is always asked in any mine explosion  
12 investigation is: What was the actual cause of the  
13 ignition? In some investigations, the cause is obvious  
14 and clear. In many, there is considerable doubt on the  
15 actual ignition point or the actual cause of the ignition  
16 and we're left with being able to do little better than  
17 to list the probable sources of ignition. And that is  
18 the case, I would submit, at Westray. It is doubtful if  
19 any of us will ever know with absolute certainty where  
20 the initial ignition occurred. So we are left with  
21 looking at the probable sources.

22         To my mind, there would seem to be three such  
23 sources. First of all, the continuous miner in heading  
24 Southwest 2-1. Secondly, the boom truck at the junction  
25 of Southwest 2-1 and Southwest 2-B. And, thirdly, the

DR. MCPHERSON, EXAM. BY MR. MERRICK

1 roof bolter in the left heading of Southwest 2-1.

2 In September, 1992, the Royal Canadian Mounted  
3 Police organized and conducted examinations of the  
4 Southwest 2 area and during those examinations, it was  
5 found that all three of these machines were running at  
6 the time.

7 Now let us consider each of these three sources in  
8 turn. First of all, the continuous miner. If the source  
9 of the initial ignition was the continuous miner, then  
10 the most probable cause of that ignition from the miner  
11 would be frictional sparking at the pick points. Now the  
12 mechanism of a frictional ignition at a mining machine is  
13 not altogether simple. Sparking and the appearance of  
14 sparks is quite common on continuous miners, shearers and  
15 other types of mineral-winning equipment. Those sparks  
16 may not individually have sufficient energy to ignite a  
17 methane air mixture and such sparking is not at all  
18 unusual. Virtually any machine operator, I'm referring  
19 to coal-winning machines here, will say that sparking at  
20 the pick points is a fairly common occurrence. Few of  
21 those sparks result, very few of those sparks, result in  
22 frictional ignitions. And, indeed, laboratory tests have  
23 shown that such sparks individually seldom have  
24 sufficient intrinsic energy to ignite a methane air  
25 mixture.

DR. MCPHERSON, EXAM. BY MR. MERRICK

1           So how do frictional ignitions actually occur at the  
2 pick points of continuous miners and other types of coal-  
3 winning machines? This is the mechanism: If the picks  
4 or an individual pick cuts into a material, a non-coal  
5 material that is of sufficient hardness, sufficient  
6 strength, is abrasive and has a high temperature of  
7 melting, such that that rock reaches incandescence due to  
8 the frictional heating before it melts, then in that case  
9 a ribbon of red hot or white hot material, a streak, not  
10 an individual spark now, but a streak of incandescent  
11 material will form behind the progression of that pick.

12           One is sometimes asked what temperature of a surface  
13 is required to ignite a methane air mixture. In fact,  
14 the answer is not a single number. One must concern  
15 oneself with the energy level of the igniting source.  
16 For example, I need to explain that. If we have a small  
17 surface of a certain temperature that does not ignite a  
18 methane air mixture and we have in another test a larger  
19 surface of the same temperature, say, a dull red heat,  
20 then the methane may well be ignited by the larger  
21 surface even though it is at the same temperature as the  
22 smaller surface. So surface area as well as temperature  
23 matters. Two things: Temperature and surface area so  
24 far.

25           There's a third factor and that is time. The

DR. MCPHERSON, EXAM. BY MR. MERRICK

1 chemical process that we referred to as combustion,  
2 burning, ignition, is initiated with a temperature of the  
3 gas and the air mixture reaches ignition point of that  
4 mixture, and it takes a certain time for heat to transfer  
5 from the hot initial source to heat the gas/air mixture  
6 up to that ignition point. So a time factor is involved  
7 here.

8 So we need three things. We need that combination,  
9 and there's an infinite number of these combinations  
10 within limits. We need a combination of temperature,  
11 surface area of the hot surface and time of existence of  
12 that hot surface. This is why a continuous streak of  
13 incandescent material is far more capable of igniting a  
14 gas/air mixture than a shower of sparks because it has  
15 the high temperature. It has the surface area and it is  
16 continuous whilst the pick is moving through that  
17 particular hard and abrasive rock. So we have the time  
18 as well.

19 So continuing with these thoughts, the ignitions  
20 that occur in this way are normally associated with picks  
21 moving through either sandstone or iron pyrites. We have  
22 a number of references in the documentation to bands of  
23 pyrite within the Foord seam, and some of these  
24 references, Mr. Merrick, are repeated in my report.

25 How may we minimize the chances of such ignitions?

DR. MCPHERSON, EXAM. BY MR. MERRICK

1 One way is to utilize water sprayers. Water sprayers  
2 were fitted to the continuous miners at Westray. The  
3 water sprayers that were used were directed at the  
4 cutting head, the cutting drum, and these would certainly  
5 help to inhibit a methane ignition. However, unless the  
6 jets of water are directed immediately and directly onto  
7 the back surfaces of the picks, sometimes referred to as  
8 "pick face fleshing technique," then they are unlikely to  
9 inhibit the formation of this incandescent streak that I  
10 talked about.

11 Another method of reducing the probability of  
12 ignition of the continuous miner would be, of course, and  
13 we've discussed this before, the efficient rapid removal  
14 and dilution of the methane that's produced at the pick  
15 point. And we've talked about the dust extraction system  
16 which would assist in that dilution, had it been running.  
17 And the reports we have available to us, a report we have  
18 available to us indicates that it was not running, the  
19 dust extraction system was not running at the time of the  
20 explosion.

21 Let me turn to the question of the boom truck at the  
22 junction of headings.

23 Q. Just before you do, Doctor, let me ask you one more  
24 question about a continuous miner and the picks. I  
25 understand that the picks have carbide tips?

DR. MCPHERSON, EXAM. BY MR. MERRICK

1 A. Tungsten carbide.

2 Q. Tungsten carbide, and they have to be replaced  
3 periodically?

4 A. Yes.

5 Q. To what effect might there be on the tendency to  
6 cause a red hot, a streak of hot metal or hot stone, I  
7 guess, if the picks were not being regularly replaced?

8 A. This would increase the probability of such a streak  
9 being generated. A dull pick, a blunt pick, causes a  
10 greater crushing of the area of coal immediately ahead of  
11 that advancing pick through the coal. It utilizes more  
12 energy. The machine actually takes significantly more  
13 energy, more electrical power. All of this produces more  
14 heat at the pick point, more frictional processes, and,  
15 therefore, enhances the probability of incandescent  
16 streaks.

17 Q. All right, thank you.

18 A. Turning now to the boom truck. This was a diesel  
19 machine. It was the type that was not permitted to be  
20 used in the vicinity of the coal headings. And I call  
21 internal combustion engines, they contained a number of  
22 potential sources of ignition.

23 As you elicited from me this morning, Mr. Merrick,  
24 it was in a location where had methane layering, indeed,  
25 as we had postulated been taking place up Southwest 2-B.

DR. MCPHERSON, EXAM. BY MR. MERRICK

1 The boom truck was in a location where additional  
2 turbulence would be caused by the presence of the truck  
3 itself plus the 145 degree turn. So it was, the boom  
4 truck was in the location where an explosive or an  
5 ignitable concentration of methane may well have existed.  
6 So we must include the boom truck as one of the probable  
7 alternative sources of ignition.

8 Turning to the third machine which was running, this  
9 was in the left heading of Southwest 2-1, this is the  
10 roof bolter. Again, the bolter power was found to have  
11 been on at the time of the explosion. Nevertheless, I  
12 would put this at the bottom of my three probable causes  
13 of ignition because the condition of the roof bolter was  
14 that both booms were in the down position, not up at the  
15 roof. It seems that roof bolting, the actual process of  
16 roof bolting was not on-going at the time of the  
17 explosion. Again, this cannot be said with certainty,  
18 but the indication from the position of the machine  
19 suggests that it was not actually being used for drilling  
20 or bolting purposes. Power was to the machine. Power  
21 was available and switched on, but the machine appears  
22 not to actually have been used.

23 So my opinion on this particular matter is that we  
24 have these three probable sources of ignition. I would  
25 not want to choose between the continuous miner and the

DR. MCPHERSON, EXAM. BY MR. MERRICK

1 boom truck. I think that both of them, Mr. Commissioner,  
2 were equally likely to have been the source of this  
3 particular ignition.

4 I'm going to move on now, Mr. Merrick, to what  
5 happened immediately after the ignition. Do you have any  
6 further questions at this time?

7 Q. Just -- I take it that there are always other  
8 possibilities as well when one is never able to with  
9 absolute certainty find the exact source of ignition.  
10 Other possibilities are always possible. I've heard  
11 evidence that falling rocks can sometimes cause ignition  
12 and sometimes damage to cables. And we've heard evidence  
13 about several of these pieces of equipment, trailing  
14 cables and occasionally bumping into them, and we have  
15 records of cable damage in the mine. But I take it that  
16 in your opinion, these other kinds of causes, including  
17 smoking, torch work, et cetera, there is not sufficient  
18 evidence supporting those that you would put them on your  
19 short list in this area.

20 A. That is indeed the case. We have written down a  
21 fairly extensive list of possibilities and that, indeed,  
22 is quite a list. But in order to achieve some semblance  
23 of order into our investigations, we have one by one  
24 eliminated those. Not eliminated them as possibilities  
25 but eliminated them as probabilities, and we're left with

DR. MCPHERSON, EXAM. BY MR. MERRICK

1 the three sources that I've talked about.

2 Q. All right, thank you.

3 A. But you are, indeed, correct. They are  
4 possibilities, and we shall never know, to repeat myself,  
5 exactly which of those was the cause.

6 Q. I assume though that if the evidence does, with some  
7 considerable preponderance, indicate that the source of  
8 the ignition did occur in the general area that we're  
9 talking about, it is not perhaps quite as important to  
10 identify with exactness the exact source of the ignition  
11 as it is to identify that because of the way the mine was  
12 being run and the way the mine was being regulated that  
13 there were, in fact, several possibilities.

14 A. Yes, indeed. Frictional ignition of methane,  
15 unfortunately, is not an uncommon experience in coal  
16 mines, in mechanized coal mines. Most causes of  
17 ignitions and explosions have reduced over the years  
18 because of improved ventilation, because of improved  
19 safety procedures. The number of frictional ignitions  
20 has increased, particularly since the 1960s, and this is  
21 because of the increasing amount of coal-winning, rock-  
22 winning mechanization that we use. We're using more and  
23 more power, more and more machines to do this, greater  
24 and greater opportunities for frictional ignitions to  
25 occur. And, indeed, frictional ignitions of methane are

DR. MCPHERSON, EXAM. BY MR. MERRICK

1 not uncommon on coal faces, on longwalls, or in room-and-  
2 pillar workings. Fortunately, the vast majority of those  
3 ignitions get no further than a flickering of blue flame,  
4 backwards and forwards, and goes out. It's only in those  
5 rare cases where the ventilation has been inadequate to  
6 remove the larger bodies, larger accumulations of  
7 methane, it's only in those cases that the ignition, the  
8 initial ignition, develops into an explosion.  
9 Unfortunately, that is what occurred at Westray.

10 Q. Or perhaps I can take us back to one of the  
11 concluding comments of Mr. Golbey in his evidence where  
12 he said that the significance to be given to lack of  
13 planning was that it might allow a combination of factors  
14 to come into place that would permit a disaster to occur  
15 that would not have occurred if that combination of  
16 factors were prevented or cut off.

17 A. Yes, sir.

18 Q. All right, thank you.

19 A. So let us move on from the second in which that  
20 initial ignition of methane occurred. This ignition  
21 would be propagated only whilst there was a continuous  
22 path of ignitable, that is, in the flammable range, five  
23 to 15 percent, zone of methane. The burning, the blue  
24 burning flames of methane would propagate along the  
25 interfaces between the general air body and any higher

DR. MCPHERSON, EXAM. BY MR. MERRICK

1 concentrations of methane. We have referred, Mr.  
2 Commissioner, to the band of explosive flammable region  
3 between the high concentration at the top of the methane  
4 layer and the general body. It is along that interface  
5 that the blue flames would flicker and burn. And when a  
6 methane ignition occurs in that way, and there is no  
7 continuous path to larger accumulations, that blue flame  
8 may flicker backwards and forwards, fairly slowly.  
9 Indeed, in the 19th century, miners in the United Kingdom  
10 would sometimes intentionally ignite layers of methane  
11 above their heads purely for amusement, seemingly  
12 oblivious of the danger they were in. And they have that  
13 on record.

14 This is the kind of thing that I believe happened at  
15 Westray, not that that was intentionally ignited, but  
16 once the ignition had taken place, that these blue flames  
17 would flicker and burn along the interface between the  
18 general body and the methane layering above their heads.  
19 So this is not a mechanism where we suddenly have a large  
20 explosion. It is preceded by burning flames of methane  
21 moving backwards and forwards along the methane layer air  
22 interface.

23 Q. I take it that would explain or be one possible  
24 explanation why the bodies in the Southwest district were  
25 found in areas where apparently they had had some time to

DR. MCPHERSON, EXAM. BY MR. MERRICK

1 try to react, 10 seconds and more in some cases. And we  
2 saw Mr. Smales' demonstration of how long it takes to get  
3 a self-rescuer off the belt and on in the quiet of an  
4 inquiry room. But I take it that that would be one  
5 possible explanation for where the bodies were found and  
6 the time they had.

7 A. Yes, sir, they certainly had a number of seconds at  
8 least to unhook the self-rescuers from -- and unseal  
9 those self-rescuers. They had time to do that, and I  
10 believe that during that time, they were exposed to or  
11 had visibility of the blue burning flames of methane.  
12 They may have been right above their heads. They may  
13 have been at other locations that were visible to them  
14 along the heading. But, in either case, the methane was  
15 burning along the interface during this period, is my  
16 belief.

17 So now we have a situation where the flammable gas  
18 methane is burning along the layer air interface. Had  
19 that methane layer, had that accumulation, that local  
20 accumulation of methane not been connected to other  
21 accumulations of methane, then it would have performed in  
22 the same way that I referred to other common ignitions.  
23 It would have flickered and died out. The fact that this  
24 did not happen is an indication that the burning methane  
25 was connected to other accumulations of methane,

DR. MCPHERSON, EXAM. BY MR. MERRICK

1 connected to it in the sense that there was a continuous,  
2 call it a "fuse path of gas" from the source of ignition  
3 to those larger accumulations. And a methane layer, a  
4 continuous methane layer, would certainly have provided  
5 that continuous fuse path.

6 Q. So that that would be consistent with -- we know  
7 that the auxiliary ventilation, and I'm now looking at  
8 Exhibit 72, which is the large map on the board, which  
9 shows the locations of bodies and locations of the  
10 equipment in the mine at the moment of the explosion.  
11 That would be consistent with methane, if in fact it was  
12 the continuous miner where the ignition point occurred.  
13 That would be consistent with methane that might have  
14 layered in that heading from the cutting processes  
15 itself?

16 A. Yes, sir.

17 Q. It would have flickered back and forth and then  
18 connected possibly with a layer of methane coming up from  
19 the Southwest district.

20 A. That is a possibility, yes, sir.

21 Q. And if that was the case, if there was this layer of  
22 methane, you would then have a significant amount of  
23 methane, conceivably.

24 A. Yes. Let us look at two scenarios following along  
25 from your description. And that is that the ignition

DR. MCPHERSON, EXAM. BY MR. MERRICK

1 having commenced in this vicinity, propagating as near  
2 roof flames, and, incidentally, those flames, the thermal  
3 energy, the heating that is produced by those flames,  
4 would itself induce thermal turbulence. We talked about  
5 turbulence induced by air flow this morning. Turbulence  
6 can be and is also caused by temperature differences.  
7 This is why hot air rises up a chimney. It induces  
8 movement of the air.

9 So the very fact that we've got a hot source of  
10 burning gas existing at the roof or near the roof of this  
11 entry would induce further turbulence, would tend to  
12 accentuate the mixing, tend to make that methane be  
13 diluted down into the flammable range.

14 So what miners have been subjected to, and I have  
15 personally experienced this, is rolling flames over one  
16 head that do, indeed, become rolling. They tend to do  
17 this [witness rotates arm] and this gives the possibility  
18 that those rolling flames could, indeed, have come down  
19 onto the heads and shoulders of the miners. One often  
20 finds, Mr. Merrick, that hard hats, plastic hard hats  
21 have been melted, and it is often caused by this effect  
22 of rolling flames at head level.

23 However, continuing with this scenario you  
24 commenced, the ignition having started in this location,  
25 as we believe, propagated via concentrations of methane

DR. MCPHERSON, EXAM. BY MR. MERRICK

1 coming down the Southwest to B road and increasing in  
2 intensity as it came down because we have those cavities  
3 in the roof because of those falls that have occurred.  
4 Even if those had been supported, as I believe they were,  
5 there would still be voidage up in the roof with  
6 concentrations of -- high concentrations of methane, as  
7 we saw in the example of Mr. Raine's paper earlier. So  
8 this gives not only a propagating fuse path, but also  
9 connecting with larger accumulations of gas, continuing  
10 the propagation of the flame.

11 Now, at some stage, let us assume. Let us assume.  
12 Let me back off a little. Let us assume that that blue  
13 flame propagated through the methane layer interface all  
14 the way back to the stoppings at the old Southwest 1  
15 entrance. It is possible that the burning methane  
16 connected to the tremendous accumulation of methane  
17 within the old Southwest 1 district. Now that is high  
18 concentration methane in a very large volume. Between  
19 that large accumulation of methane in here and the  
20 normal, what we've referred to as the ventilation  
21 infrastructure, here we have relatively low  
22 concentrations under normal circumstances. Here we have  
23 very high concentrations. And, as the Commissioner  
24 pointed out yesterday, that means inevitably that between  
25 those two, we go through a zone of the flammable region,

DR. MCPHERSON, EXAM. BY MR. MERRICK

1 five to 15 percent. So in the scenario I'm describing at  
2 the moment, if the flame had propagated down the  
3 Southwest 2-B and back into the old Southwest 1 workings,  
4 at that point it would have sufficient volumes of methane  
5 in the explosible range to develop into a very rapid,  
6 rapid flame propagation, a gas explosion. That is one  
7 possibility.

8 COMMISSIONER Doctor, when you say "propagate," I'm just  
9 trying to get a little thing on the time. When you say,  
10 okay, the blue flame started up here by the continuous  
11 miner and propagated down here, what are we talking about  
12 in time? Are we talking seconds or minutes or what?

13 A. Again, I'm unable to give a definitive answer to  
14 that because the speed of propagation of the flame  
15 depends upon the actual concentration. It will only  
16 propagate in the five to 15 percent range. The maximum  
17 explosibility is 9.5, 9.6 percent, but it does depend  
18 where in that range you are and the speed of propagation.  
19 And what we have, of course, in a methane layer is a  
20 progression right through that range from low  
21 concentrations to high concentrations. One has seen, and  
22 again, I personally observed this, burning methane  
23 propagating in one direction along a methane layer and  
24 then a few seconds later, maybe 10, 20, 30 seconds later,  
25 coming back the other way. So this can be quite slow.

DR. MCPHERSON, EXAM. BY MR. MERRICK

1 COMMISSIONER That would be as the turbulence diluted  
2 the heavier --

3 A. Uh-huh.

4 COMMISSIONER Yeah, okay.

5 A. And oxygen gets back up there again. So this can be  
6 a process that can be quite long lived. And, indeed, in  
7 some instances where burning methane has been taking  
8 place in the waste areas behind longwall faces, one has  
9 experienced this also, those burning flames, sometimes  
10 called "hanging flames" can go on for hours. Again, we  
11 have records of that. So we have everything from the  
12 very high speed explosion itself through to things that  
13 can last for quite a long time.

14 Now going back to our scenarios here, the one I've  
15 described is the propagation of flames burning along the  
16 interface back into Southwest 1 and a major explosion,  
17 the major explosion -- not ignition -- being caused  
18 there.

19 There is another possibility, and that is that as  
20 the blue flame propagated along the methane layer  
21 interface connecting with these larger accumulations in  
22 roof cavities and causing the thermal turbulence, it is  
23 possible that even before that blue flame propagated back  
24 into Southwest 1, it is possible that a sufficient volume  
25 of explosive mixture was caused by this turbulence which

DR. MCPHERSON, EXAM. BY MR. MERRICK

1 would initiate the explosion, the very rapid flame,  
2 before getting to Southwest 1, somewhere in the Southwest  
3 2-B Road.

4 Now I don't know which of these possibilities was,  
5 in fact, the case and, again, we shall probably never  
6 know. But somewhere, somewhere between the active  
7 headings and the Southwest 1 old district, somewhere  
8 along here, the burning, relatively quiescent burning of  
9 methane, developed into an explosion.

10 COMMISSIONER Doctor, would that be the point at which a  
11 shock wave, the explosion would kick up a shock wave  
12 which would then, in fact, stir up the coal dust?

13 A. That is exactly the situation, sir, yes. So let us  
14 take it from that point onwards.

15 Now we have a gas explosion. A gas explosion, like  
16 any other explosion, results in a very rapid increase in  
17 temperature of that volume of gases/air mixture that is  
18 involved in that initial explosion, a very rapid  
19 expansion, indeed. That will cause a shock wave to  
20 develop and to propagate in all directions away from that  
21 point of explosion.

22 Now if that explosion had occurred in here, then the  
23 shock wave could not propagate too much in this direction  
24 and, in fact, we do not believe it propagated in that  
25 direction much at all, but it has perfect freedom to come

DR. MCPHERSON, EXAM. BY MR. MERRICK

1 out into the main body of the mine. It doesn't have the  
2 resistance of the dead ends of headings to prevent it.  
3 So the shock wave would propagate outbye, increasing in  
4 intensity and would continue to propagate because of this  
5 mechanism.

6 Let us take our mine airway. We now have a  
7 situation where a shock wave has been set up. This shock  
8 wave is proceeding at high velocity away from the initial  
9 seat of the explosion. And remember this shock wave has  
10 been caused by the expansion, the thermal expansion of  
11 these gases. So this propagates away from and in advance  
12 to the actual burning gas itself. So behind this we have  
13 so-called "flame front."

14 MR. MERRICK This is going to Chart 4, for the record.

15 A. We've now got two significant zones here. We now  
16 have a flame front where the burning gas, rapidly burning  
17 gas, exploding gas, is propagating along the entry that  
18 is causing expansion and pushing the shock wave further  
19 and further in front of it. Now this shock wave is a  
20 region that separates the normal atmospheric barometric  
21 pressure of the mine entry in front of it between that  
22 and the expanding region where the pressure is obviously  
23 more elevated. It is that higher pressure that is  
24 pushing the shock wave forward. So we've got a peak here  
25 of pressure and any objects that are subjected to that

DR. MCPHERSON, EXAM. BY MR. MERRICK

1 shock wave will, over a very, very short time period,  
2 milliseconds, find themselves or find it, the obstacle,  
3 hit on one side by this high pressure shock wave with a  
4 lower pressure behind, and this is what causes blast  
5 damage in any kind of explosion. This is what causes the  
6 damage, the blast damage.

7 Okay, there's one more unfortunate thing that the  
8 shock wave will do. Because of this tremendous  
9 turbulence that's caused and this blast damage as I've  
10 described it, and that is that this will certainly be  
11 capable of raising dust from settled surfaces into the  
12 air, including the coal dust, or coal dust/stone dust  
13 mixture. And if that mixture is of a sufficiently high  
14 combustible content, then the particles of coal  
15 themselves will be ignited.

16 And the methane gas explosion then converts into the  
17 much more violent coal dust explosion. Much more violent  
18 because there is much more calorific value, energy  
19 content, in coal dust per unit volume than there is in  
20 methane gas.

21 The concentration of coal dust required to propagate  
22 a coal dust explosion is quite high. A coal dust  
23 explosion will not be propagated unless it is at least  
24 some 50 grams of coal dust per cubic meter. Now these  
25 numbers may not mean too much, but 50 grams per cubic

DR. MCPHERSON, EXAM. BY MR. MERRICK

1 meter in the atmosphere in this room would make the  
2 atmosphere opaque. You would not be able to see your  
3 hand in front of you. It would be that thick.

4 This degree of dust concentration is unlikely to  
5 occur in any mine by normal mining processes. It is only  
6 the violence, the energy level of an initiating gas  
7 explosion that is likely to cause a coal dust explosion.  
8 There have been coal dust explosions propagated very  
9 rarely in other ways, but the usual mechanism is the one  
10 I've described, initiated by a methane dust explosion.

11 So now we have the methane explosion developing into  
12 this much more violent coal dust explosion. Now where  
13 that conversion took place, again, we shall probably not  
14 know with certainty, but my impression is that a coal  
15 dust explosion commenced before the shock wave and the  
16 following flame front reached the mains. So somewhere in  
17 here, we converted from a methane explosion to a coal  
18 dust explosion. I base that opinion on the fact that the  
19 violence of the explosion by the time it reached the air  
20 crossing here and the stoppings, the devastation that was  
21 caused here is certainly indicative of the violence of a  
22 coal dust explosion.

23 COMMISSIONER Just one question apropos of that: Does  
24 the coal dust explosion gain in energy as it propagates?

25 A. A coal dust explosion never reaches equilibrium. It

DR. MCPHERSON, EXAM. BY MR. MERRICK

1 is either proliferating or it's dying. And it can rise  
2 and fall in intensity depending upon the availability of  
3 two things; first of all, the coal dust which provides  
4 the fuel; and, secondly, the oxygen that it requires to  
5 propagate the flames. So it is a very highly dynamic  
6 phenomenon.

7 Now what we feel occurred when the dust explosion  
8 actually met the mains causing the tremendous amount of  
9 damage that we can see on the photographs of the  
10 stoppings, of the air crossing, I believe that the shock  
11 wave and following flame front propagated both north and  
12 south, both ways along the mains, particularly in the No.  
13 2 entries. Because this is where the conveyors were.  
14 This is where exceptionally high amounts of coal dust  
15 fuel were available, along the conveyor roads.

16 So the belief is, my belief is, that the explosion  
17 propagated. Let's take them one by one. Let's take,  
18 first of all, the propagation of the explosion, the coal  
19 dust explosion up the No. 2 slope all the way through to  
20 surface. As it progressed up No. 2 slope, then these  
21 shock waves would beat upon the stoppings in the  
22 crosscuts. The explosion may have propagated into the  
23 intake. There was less fuel there. We saw the analyses.  
24 Less fuel there to propagate the coal dust explosion, but  
25 it certainly propagated all the way through to surface

DR. MCPHERSON, EXAM. BY MR. MERRICK

1 and out through the portal of the No. 2 entry.

2 MR. MERRICK That would be consistent with all of the  
3 crosscuts between the intake and the return mains being  
4 blown out in the direction of the intake main?

5 A. Yes, sir, exactly.

6 COMMISSIONER Would the shock wave not lose some energy  
7 as it turned a right angle to go into the crosscut?

8 A. This is an interesting question and one that I'm  
9 going to come to and talk about more when we look at the  
10 North. What happens is that when shock waves, when  
11 explosive waves meet obstructions or anything to deflect  
12 them, turns, corners, junctions or pieces of equipment,  
13 that, in some areas we get the shock wave being  
14 accentuated, made stronger, and very close by, we may  
15 have a shadow area where the shock wave has hardly hit at  
16 all. And it is a common feature in post-explosion  
17 investigations, Mr. Commissioner, that we'll see extreme  
18 devastation, wrecking of sturdy roof supports and just a  
19 few feet away, we'll see fairly light equipment that's  
20 hardly been touched, and it's because of these  
21 deflections and reflections. It's a very complex, and  
22 let me repeat the word, highly dynamic phenomenon.

23 So that is following the explosion wave up the slope  
24 or slopes, let us follow the path now northwards. As  
25 we've said, recapping, my belief is that the explosion

DR. MCPHERSON, EXAM. BY MR. MERRICK

1 came out of the Southwest and turned in both directions.  
2 Turning to the North, the explosion shock wave and  
3 following flame front would progress northwards. It  
4 probably progressed northwards in all three of these  
5 entries.

6 Now we're faced with a somewhat different scene  
7 here. Coming out of the portals, the shock wave and the  
8 following flames had the freedom to escape to the outside  
9 atmosphere. Here we're faced with dead ends everywhere.  
10 There is no escape to surface. The mechanism that we  
11 postulate now, and we're hypothesizing at this stage,  
12 because no one has ever observed this and lived to tell  
13 the tale, but because of the obstruction to this shock  
14 wave, we believe that that shock wave would propagate  
15 into the headings, cause severe blast damage, nowhere for  
16 it to be relieved within those headings, be followed by  
17 the flame front which also had nowhere else to go. That  
18 flame front would terminate, it is my belief, would  
19 terminate in a short period of fairly intense burning of  
20 methane and coal dust in these headings, and would be  
21 terminated either by lack of fuel, lack of further coal  
22 dust and gas, or more probably, lack of oxygen. But  
23 there would be heavy blast damage followed by heavy  
24 burning. Which explains also some of the photographs  
25 that we can observe.

DR. MCPHERSON, EXAM. BY MR. MERRICK

1 COMMISSIONER Doctor, why wouldn't the same principles  
2 that applied up in here in the Southwest district, the  
3 principles that you say the shock wave couldn't propagate  
4 up there because of the dead ends, why wouldn't that same  
5 principle apply up here?

6 A. Let me use an analogy, Mr. Commissioner. When you  
7 fire off a rifle or a shotgun, you are hopefully at the  
8 safe end of it behind the place where the bullet is going  
9 to be ejected. The energy, the kinetic energy, of that  
10 bullet increases as it goes along the barrel and is  
11 ejected and is fairly quiescent, hopefully, at the end  
12 where you're pulling the trigger. This is the trigger  
13 end of this explosion. It is initiated, as we've  
14 explained, by burning methane. The propagation would be  
15 outbye and would increase in intensity coming outbye and  
16 this is, again, a very commonly observed phenomenon in  
17 investigations of -- the post-investigation of  
18 explosions. That actually at the seat of the explosion,  
19 where it started, where it ignited, that is the place  
20 where you find least blast damage.

21 COMMISSIONER I see.

22 A. Because of this effect.

23 COMMISSIONER Kind of like the eye of a storm?

24 A. Yes, indeed.

25 COMMISSIONER Okay. Thank you.

DR. MCPHERSON, EXAM. BY MR. MERRICK

1 MR. MERRICK I suppose, maybe this is too graphic, but  
2 if that's where the ignition occurred in the Southwest  
3 District, it was a blast aimed right down into the North  
4 Mains?

5 A. Yes, sir.

6 Q. That would be consistent with the evidence that we  
7 have that the miners in the North Mains had no warning  
8 whatsoever?

9 A. That is correct.

10 Q. And would account for what we understand to be the  
11 evidence of considerable and extensive damage not only to  
12 equipment but to the headings themselves?

13 A. Blast damage and burning, yes.

14 Q. All right. You were describing what happens when it  
15 gets into the blind, the dead ends.

16 A. Well, I think I should have little to add, Mr.  
17 Merrick. I think what we have just gone through is a  
18 scenario like any other post-explosion investigation, is  
19 one that cannot definitely be proved. Everything I've  
20 said is backed up by the evidence that we have looked at  
21 and is consistent with the facts that we have found.

22 Q. We have heard -- we have seen some indications and  
23 seen some opinions to the effect that once the shock wave  
24 and the -- got down into the North Mains that it may have  
25 reflected there or come back out again?

DR. MCPHERSON, EXAM. BY MR. MERRICK

1 A. Yes.

2 Q. What do you say as to that?

3 A. It is possible that this could have happened.  
4 Again, it's -- the situation in many cases, and we can  
5 look at, at least one example of this in Westray, where a  
6 piece of equipment has been blown, propagated in one  
7 direction, and another piece of equipment which was  
8 originally very close by has been propagated in the  
9 opposite direction.

10 Q. What are you referring to?

11 A. Why does this occur? The belt end, the box, belt  
12 box, which I think was in approximately this direction,  
13 seems to have -- and the air crossing. The air crossing  
14 at this position. The evidence seems to suggest that  
15 some of the debris moved in one direction; some in the  
16 opposite direction.

17 Now this can be explained through the Commissioner's  
18 question about reflections and deflections. We do indeed  
19 get the situation and can observe the situation where  
20 shock waves can move in one direction and followed a  
21 little later by shock waves moving in another direction.  
22 A different intensity. Another phenomenon that occurs is  
23 that this rapid expansion -- this rapid expansion caused  
24 by the burning and the heating, let's take the Northwest  
25 as the example, will be followed quite quickly

DR. MCPHERSON, EXAM. BY MR. MERRICK

1 afterwards, after the depression of those flames, by  
2 cooling. Cooling of the system which will pull air back  
3 in. And we sometimes get a reverse implosion that can  
4 move things back in the opposite direction. So there are  
5 a number of explanations for this.

6 Q. We may hear evidence later on that would suggest  
7 that right up in the Southwest 2-1 Road, I think, if I've  
8 got my designations correctly. Anyway, where the  
9 continuous miner was, that they may have encountered a  
10 fault right at the time. To what extent might that be  
11 consistent with and also explain additional gas make at  
12 that time.

13 A. This is a matter we looked at briefly yesterday.  
14 Within the vicinity of a fault or most other geological  
15 anomalies, the strata, including the coal, would have  
16 been disturbed over geological time because of the  
17 movement of that fault or anomaly, and therefore, would  
18 have been subjected to greater stress, inducing strains,  
19 that is, fractures, micro and macro fractures, and  
20 therefore would become more permeable. The gas would  
21 have been emitted more freely into the workings in the  
22 vicinity of faults.

23 Q. We should never, I suppose, lose sight of the human  
24 aspect of this and the human tragedy part of it. The  
25 mechanism that you have described would have had that

DR. MCPHERSON, EXAM. BY MR. MERRICK

1 blue flame and perhaps rolling flames coming down to head  
2 level up in that Southwest district for a matter of some  
3 seconds at least, that must have been a very terrifying  
4 time.

5 A. Indeed, yes.

6 Q. Let me ask you a very general question. In this  
7 day, in this age, should that ignition have occurred?

8 A. Had there been adequate ventilation in the headings  
9 of the Westray Mine, any ignition of methane that might  
10 have occurred through cutting picks on machines or any  
11 other purpose would have remained localized, as indeed  
12 most of the such ignitions do remain localized; it would  
13 not have developed into an explosion.

14 Q. Let me put it in stronger terms and using the  
15 extension of the question that you've used. Accepting  
16 for the moment that you may get ignitions in a mine, is  
17 there any excuse to allow an ignition that may occur in  
18 the Southwest district to blow that whole mine up?

19 A. My answer must remain the same, Mr. Merrick. Had  
20 the ventilation of the headings been good and adequate,  
21 it would not have propagated into a gas explosion. And  
22 let me add to it, had the mine dust been sufficiently  
23 diluted and regularly diluted by stone dust to within the  
24 legal limits, then it is much less likely that that gas  
25 explosion would have developed into the much more violent

DR. MCPHERSON, EXAM. BY MR. MERRICK

1 coal dust explosion.

2 Q. Doctor, my impression is, and I'm just a lay person  
3 on this, that coal mines are a very dangerous place. And  
4 mine explosions have been common throughout the history  
5 of coal mining, but I would assume that in North America  
6 at least and also other parts of the country, with the  
7 knowledge that we have gained from previous disasters, we  
8 may have to expect accidents to still happen at faces and  
9 in headings, but surely we should no longer to blow up  
10 whole mines?

11 A. The number of explosions that occur in the end,  
12 towards the end of the 20th century is, of course,  
13 minuscule compared with the 19th century and the 18th  
14 century. So the number explosions and the horrendous  
15 loss of life in the first 100 years of industrial  
16 revolution, those days are long gone behind us. So in  
17 answer to your question, the number of explosions in coal  
18 mines has decreased orders of magnitude and that is as it  
19 should be because we have better procedures, better  
20 ventilation, greater amount of knowledge on safety and  
21 the health of the miners.

22 So as a direct answer to your questions, we should  
23 not expect that explosions should occur in mines.  
24 Nevertheless, to be absolutely realistic about it, and as  
25 Westray has shown, such incidents do, unfortunately, but

DR. MCPHERSON, EXAM. BY MR. MERRICK

1 very rarely, occur.

2 COMMISSIONER I just want to follow up on a question Mr.  
3 Merrick posed to you a few moments ago about the miners  
4 who were in this area at the time and the tremendous  
5 traumatic experience that would have been for them at  
6 that particular moment.

7 On another way, if we get up into this area, Doctor,  
8 you were saying that how the energy of the shock wave  
9 propagates and increases over the course of the time. Is  
10 it fair to assume that the miners who were up in this  
11 area really didn't know what hit them?

12 A. That indeed could be the case. That the strength of  
13 the shock wave hitting into that blind end, hopefully,  
14 would have been quick.

15 COMMISSIONER Yeah. That's what I was wondering about.  
16 Yeah.

17 MR. MERRICK Let me come back to my line of questioning  
18 that we were just exploring. One of our mandates is to  
19 answer the question: Was this disaster preventable? I  
20 can't help but assume, based on even the evidence that  
21 we've heard to date, is that the answer to that question  
22 is a resounding, resounding, "Yes, it was preventable."  
23 Do you agree with that?

24 A. Absolutely.

25 Q. And what we have to do, based on your evidence and

DR. MCPHERSON, EXAM. BY MR. MERRICK

1 the evidence of others, is to identify how it was  
2 preventable.

3 Let me take you -- just to summarize your report.  
4 Tell me the things that contributed to it and the things  
5 that could have been done that would have prevented that  
6 moment in that mine.

7 A. Well, these are summarized on -- starting on page 41  
8 of my report. So let us look at these together. The  
9 fact is that I've listed what contributed towards the  
10 probability of a gas explosion resulting in a succeeding  
11 coal dust explosion. First of all -- and this is  
12 recapping these last two days.

13 First of all, a system of auxiliary ventilation that  
14 was clearly inadequate to dilute the methane rapidly,  
15 efficiently. Was clearly inefficient -- insufficient to  
16 prevent the formation of methane layers.

17 The air flows and therefore the air velocities were  
18 too low in the active headings. Exhausting systems of  
19 auxiliary ventilation were being used which would  
20 mitigate against good mixing and adequate mixing at the  
21 working faces.

22 We've talked about ventilation ducting that was too  
23 small for the air flows that were required in the  
24 headings, indeed, it was too small for the air flows that  
25 they did achieve, resulting in the inward collapse of the

DR. MCPHERSON, EXAM. BY MR. MERRICK

1 tubing, you recall. We've talked about headings being  
2 ventilated in series.

3 And we have not talked, Mr. Merrick, in your  
4 examination of me with -- about the cable damage.  
5 Nevertheless, there were frequent incidents of cable  
6 damage. Concentrations of gas --

7 Q. Just before you go on --

8 A. Yes, sir.

9 Q. -- and just for the moment on the cables. While  
10 that may or may not have been a direct -- while that may  
11 not have been a direct factor in the ignition of this  
12 particular explosion, that is something, nevertheless, I  
13 take it that we should continue to look at and examine.  
14 Because ultimately it could have been an ignition point  
15 in an explosion and it certainly would relate to the  
16 safety of the operation of the mine. I'm right on that,  
17 am I?

18 A. Yes, indeed you are. In the table that summarizes  
19 my observations on the foreman's reports, there are a  
20 number of incidents of cable damage. We do not have any  
21 evidence that cable damage was the cause of this  
22 particular ignition, but reflecting your statement that  
23 this is an indication of perhaps less than adequate  
24 training of the miners in handling those cables. And,  
25 indeed, if that had continued, this would have been, and

DR. MCPHERSON, EXAM. BY MR. MERRICK

1 indeed it was, a possible source of ignition.

2 We've spoken about the high gas concentrations in  
3 the headings, sufficiently high that mining was  
4 interrupted from time to time.

5 Another point I make in this paragraph is that when  
6 dangerous occurrences do occur frequently, then the sense  
7 of danger, the sense of hazard, decreases in the minds of  
8 the personnel. We often hear references to the inuring  
9 of peoples' minds against violence these days because we  
10 see so much of it in television; the same psychological  
11 factors come to bear here. When miners are exposed daily  
12 and weekly to dangerous situations and they do not get  
13 blown up, Mr. Merrick, then a sense of false security  
14 develops in their minds that this is okay. It wasn't  
15 okay, as we've seen.

16 COMMISSIONER And would that point be exacerbated by the  
17 fact of inadequate training so that the miner didn't  
18 know, you know, what to fear?

19 A. Yes, indeed, sir. That would contribute towards it.

20 COMMISSIONER Yeah. Okay.

21 A. We've spoken about the possible misuse of emergency  
22 or cutoff switches. We've talked about conditions of  
23 ground stressing, ground roof falls, sloughing, the  
24 crushing of the coal in the old workings that would  
25 encourage the production and the emission rate of

DR. MCPHERSON, EXAM. BY MR. MERRICK

1 methane. We've spoken to the high concentrations of  
2 combustible material and the dust. We've spoken about  
3 intake air serving the Southwest 2 district after having  
4 passed across the entrances of inadequately sealed old  
5 workings.

6 We've spoken about the possibility of layering  
7 extending from those old workings up into the vicinity of  
8 the headings.

9 We've spoken about the use of non-permissible diesel  
10 equipment in the vicinity of those headings.

11 And we've spoken about the falling barometric  
12 pressure.

13 All of these could well have contributed to the  
14 initiation and the propagation of this explosion. Those  
15 are the technical factors that I have listed in my  
16 report.

17 MR. MERRICK You go on to list about five or six more  
18 that you say, while not technically, or a technical  
19 factor are, nevertheless, factors.

20 A. These comments at the bottom of page 42, right at  
21 the end of my report, are the comments of a mining  
22 engineer, Mr. Merrick. Everything up to this point has  
23 been -- have been the comments of a mine ventilation  
24 engineer. I add these few other matters at the end  
25 speaking as a general practitioner now in the mining

DR. MCPHERSON, EXAM. BY MR. MERRICK

1 industry and having spent a lifetime working with and in  
2 the mining industry. These are matters which are non-  
3 technical in the sense that they reflect on the actual  
4 operation of equipment or behaviour of the ventilation  
5 system. But, nevertheless, in my mind contributed in an  
6 equally potent manner towards the propagation of a mine  
7 explosion. And you can look at these for yourself as I  
8 run through them.

9 Inadequate training of mine workers. Eight-hour  
10 shifts not being used, but 12-hour shifts being employed.  
11 12 hours in the arduous conditions of any underground  
12 mine as a routine and continuous procedure is much too  
13 long. Normal period, of course, is eight hours. Many  
14 mines use seven hours. Some mines in the world have now  
15 gone to four shifts working six hours, Mr. Commissioner.  
16 12 hours is excessive. Not only from the point of view  
17 of the human aspects of working 12 hours at a time, but  
18 also because of the inevitable loss of attention that can  
19 result and has resulted all too often in accidents and  
20 deaths occurring in mine. You are very reliant for your  
21 safety, not only on yourself, but also on the guy next to  
22 you. And if you've been working for 12 hours, that  
23 attention is going to slip.

24 A concentration of attention on the problems of roof  
25 control at the expense of other safety issues. You have

DR. MCPHERSON, EXAM. BY MR. MERRICK

1 already heard of the severe problems of roof  
2 control/ground control, the falls of roof, and this was a  
3 major, major concern to the mine management. This was a  
4 major concern to the mine management, I would hope, from  
5 the point of view of the safety of the miners. There is  
6 another factor, however.

7 Falls of roof inhibit the mining process itself. If  
8 you have falls of roof, then you cannot get your coal  
9 out; you cannot get your men and materials and equipment  
10 in. A fall of roof in part of that infrastructure of the  
11 mine will cause a cessation of mine because, physically,  
12 you cannot get the equipment, the people in. So not only  
13 is this a matter of safety, it also results in cessation  
14 of production in that part of the mine.

15 Problems associated with poor ventilation do not  
16 necessarily do that. If you have poor ventilation, then  
17 you can keep mining, as, indeed, happened at Westray. So  
18 although it is equally a matter of safety and health, as  
19 the falls of roof are, it does not immediately prevent  
20 production. It will inevitably do so in the long term,  
21 sometimes with tragic consequences, as we've seen at  
22 Westray.

23 A drive for coal production so intense that it  
24 conflicted against a prudent regard for safety. This, I  
25 think, ties up with what I said a moment ago, that there

DR. MCPHERSON, EXAM. BY MR. MERRICK

1 was, indeed, an immense drive on the men, on the  
2 management, to produce coal. Those pressures would seem  
3 to have been, indeed, heavy to the extent that it did,  
4 indeed, conflict against a prudent regard for safety. An  
5 example arose this morning, Mr. Merrick, when we were  
6 talking about preventing methane coming out of the old  
7 workings. Could have put better seals on, proper seals,  
8 double wall seals. Could have had a back bleeder system  
9 to keep the gas back from those intakes. Could have had  
10 pressure balances. Could have had an air crossing.  
11 Could have done all of those things. Why were they not  
12 done? This was not going to produce coal. This was  
13 going to take time. This was going to take money. And  
14 drive for coal production so intense that it conflicted  
15 against a prudent regard for safety.

16 Q. Just as backdrop to that comment you just made, I  
17 would suggest that that comment is particularly  
18 appropriate knowing as we now know at least some of the  
19 circumstances on what happened at the end of March. They  
20 were coming off a period when they were driving to  
21 increase their coal production to hit their targets that  
22 they had. They had had several good months of production  
23 and then got chased out of that old district and had to  
24 find another place to develop coal in a matter of days.

25 A. Yes.

DR. MCPHERSON, EXAM. BY MR. MERRICK

1 Q. Thank you.

2 A. Moving on. A lack of detail in the initial planning  
3 of the mine. That should have been a prerequisite for  
4 financing and authorizing the project. Let me confine  
5 myself just to the ventilation aspects of this. I have  
6 seen no ventilation plans that I would honour with the  
7 name of "ventilation plans" for the development and the  
8 long term planning of this mine. I have seen plans  
9 showing production layouts, plans that seem to have  
10 changed quite frequently. I've seen no commensurate  
11 ventilation plans to go along with those layouts.

12 My final point, a lack of rigour by government and  
13 its officials in insuring that the mine was operated in a  
14 safe manner, particularly with regard to concentrations  
15 of methane and coal dust. I'd like to preface those  
16 remarks and final remarks on this matter by saying that  
17 mine inspectors around the world have a difficult job.  
18 They have a duty of administering, enforcing, often  
19 interpreting the law, and they have the job of doing all  
20 of that with some sensitivity and, at the same time,  
21 making the lives of the mine operators, the mine  
22 management such that they can continue their profession  
23 of mining coal or mineral. Nevertheless, the predominant  
24 feature over all of this must be for the inspectorate to  
25 be concerned with the health and safety of the miners.

DR. MCPHERSON, EXAM. BY MR. MERRICK

1           There are some matters which I certainly have  
2 questions in my mind. The matter of coal dust and the  
3 lack of stone dusting during the physical inspections of  
4 the mine by the inspectorate -- this must have been  
5 visually obvious to them. And, indeed, the warnings and  
6 eventually the orders that they gave on April 29th  
7 indicated that they were, indeed, concerned with rock  
8 dusting. I would have thought it would have been prudent  
9 for them to take stronger action earlier on the matter of  
10 combustible dust in the coal dust/stone dust mixture.

11           It would have been prudent also for the mine  
12 inspectors to have looked at the reports that were being  
13 produced, that were produced under the law by officials  
14 of the mine and, in particular, I have in mind the  
15 ventilation so-called "survey reports."

16           Even a fairly cursory glance through those reports  
17 would have shown matters that should have stood out like  
18 red flags to mine enforcement officials. I refer to the  
19 high concentrations of methane that were reported.

20           I refer to the recirculation, the uncontrolled  
21 recirculation that was occurring in the North workings.  
22 These are matters that should have resulted in fairly  
23 rigorous action to rectify these matters.

24           I would suggest that the mine should have been  
25 subjected to sanctions because of these infringements

DR. MCPHERSON, EXAM. BY MR. MERRICK

1 against the law and going beyond that, because of the  
2 disregard for safety that seems to have been the  
3 philosophy at Westray. And those actions may well have  
4 started with warnings, formal warnings, followed up by  
5 more stringent sanctions, citations, and followed up, if  
6 necessary, if no action is taken, by a stop work order.  
7 And, indeed, in cases of perceived immediate danger,  
8 there again, stop order, stop work orders may well have  
9 been issued.

10 Let me finish with that, Mr. Merrick.

11 MR. MERRICK Thank you, Dr. McPherson. Mr.  
12 Commissioner, I do have two other areas that I want to  
13 touch on with Dr. McPherson, which I'll do in the  
14 morning, I think would be appropriate.

15 COMMISSIONER Okay, fine. Thank you. We'll adjourn  
16 then until --

17 MR. MERRICK Just before we break, if I can make one  
18 explanatory comment to counsel. They will have noticed  
19 in Dr. McPherson's report that he refers to transcript  
20 evidence on occasion and purports to have it in  
21 quotations. We've attached in the exhibit books the  
22 actual pages from the transcripts from which those quotes  
23 were taken. The words do not exactly match; the substance  
24 does. The reason for that is that Dr. McPherson was  
25 given summaries of the transcripts that paraphrased the

DR. MCPHERSON, EXAM. BY MR. MERRICK

1 exact quotes so that they aren't exact quotes but they  
2 are essentially the same message. That's it.

3 COMMISSIONER Thank you.

4 HEARING ADJOURNED (TIME: 4:40 p.m.)

5

## REPORTER'S CERTIFICATE

I, Margaret E. Graham, Court Reporter, certify that the foregoing is a true and accurate transcript of the evidence taken by way of recording and reduced to typewritten copy.

---

Margaret E. Graham

DATED this 21st day of November, 1995, at Stellarton,  
Nova Scotia.