

DAY 11

NOVEMBER 23, 1995

WESTRAY MINE

PUBLIC INQUIRY

HEARD BEFORE: The Honourable Justice K. Peter Richard,
Commissioner

PLACE: Stellarton, Nova Scotia

COUNSEL:

Solicitor for the Commission: Mr. J. Merrick, Q.C., and
Ms. Ena MacDonald, document coordinator

Solicitor for the Department of Justice Canada: Ms. Lynn
Gillis

Solicitors for the Department of Justice Nova Scotia:
Messrs. R. Endres, Q.C., J. Traves, and Wm. Wilson, Q.C.

**Solicitor for the United Steelworkers of America and the
Nova Scotia Federation of Labour:** Mr. David Roberts

Solicitor for the Westray Families Group: Mr. B. Hebert

Representing the Town of Stellarton: Mr. Clarence
Porter, Mayor and Mr. Phillip Rafuse, solicitor, and Mr.
John Murphy, Town Councillor

INDEX

<u>Witness</u>	<u>Page</u>	<u>Volume</u>
Dr. Malcolm McPherson		
Examination by Mr. Merrick	1907	11
Examination by Commissioner	1926	11
Mr. F. Reginald Brookes		
Examination by Mr. Merrick	1930	11
Examination by Mr. Roberts	2039	11
Examination by Mr. Hebert	2040	11
Examination by Mr. Rafuse	2049	11
Examination by Mr. Endres	2050	11
Examination by Mr. Merrick	2055	11

1 November 23, 1995 - 9:34 a.m.

2 COMMISSIONER Good morning.

3 ALL Good morning.

4 **DR. MALCOLM MCPHERSON**, previously called and sworn,
5 testified:

6 COMMISSIONER Mr. Merrick?

7 MR. MERRICK Thank you, Mr. Commissioner.

8 EXAMINATION BY MR. MERRICK

9 Dr. McPherson, I will try to keep you on schedule. The
10 first thing I want to do is just revisit a point that Mr.
11 Wilson was asking you about yesterday about the Kilborn
12 Study. Can you turn to Exhibit 1 in that portion that he
13 was referring to you yesterday, and it appears in
14 approximately the middle of the book. It's at page 6.

15 A. Yes.

16 Q. Okay. It's just after that first section of plans
17 in about the first part of the book. You go through a
18 section of them and then we've got some numbered pages.
19 I think it will be past the plans. All right, this is
20 entitled "Page 6." At the top of the -- or at the bottom
21 of the page is a Section 3.5, "Mine Ventilation." This
22 volume is still a little hard to work with because it's
23 got no master page system on it. Let me see if I can be
24 of other assistance. Do you have it, Dr. McPherson?

25 A. I have it, sir, yes.

DR. MCPHERSON, EXAM. BY MR. MERRICK

1 Q. Okay. Accepting for the moment -- and we see there
2 at the bottom of the page at 3.5 that apparently the
3 objective of their exercise was to determine the air
4 quantity that would be sufficient to dilute what they
5 anticipated to be the methane emission rate.

6 A. Yes.

7 Q. And accepting the comments that you've already made
8 that it isn't adequate to merely have as your objective
9 the dilution of methane, but you should also have as your
10 objective the mixing of methane, and then on the -- and
11 accepting the premise as well that this ventilation
12 description was based on a completely different layout of
13 the mine than what we now see -- and the layout is just
14 two pages further -- three pages further on, is a map
15 that shows a layout that Kilborn was having in mind at
16 the time they were talking about ventilation. And that
17 is a layout that shows a number of different sections.

18 And whether or not each of their sections relates to
19 what they were referring to as a production unit or not,
20 we're not -- I won't get into in detail with you. Nor
21 will I get into you -- in detail with you whether or not
22 each of the sections would require more than two headings
23 to be operating at any one time.

24 And I know your comments yesterday where you said
25 that they had arrived at the conclusion that in order to

DR. MCPHERSON, EXAM. BY MR. MERRICK

1 dilute the methane all they needed was five cubic meters
2 per second for each heading. And you've given the
3 opinion that that would be inadequate.

4 Nevertheless, I assume from reading this that one
5 could, by looking at their numbers, say that if they had
6 100 cubic meters per second of air volume going through,
7 and if they only had five production units, and if each
8 production unit was only two headings, that would give
9 you 10 headings in total. You would then have 10 cubic
10 meters per second per heading, and if you had that, would
11 that be adequate to mix the air?

12 A. In that idealistic scenario, that would be so, Mr.
13 Merrick. But I have never seen a mine that would develop
14 in that almost cartoon fashion.

15 Q. All right. But 10 cubic meters per second per
16 heading would be adequate to mix?

17 A. Would be adequate to mix to dilute the methane, yes.

18 Q. All right. Let me move on to another point. You
19 said yesterday, and it was a comment that I just wanted
20 to pick up on --

21 A. Mr. Merrick, can I just retract a moment?

22 Q. Yes.

23 A. I think we mixed our words there. We said would be
24 adequate to mix and dilute. It would be adequate to
25 dilute the gas. Again, one would have to look at the

DR. MCPHERSON, EXAM. BY MR. MERRICK

1 velocity heading by heading. It would be more than the
2 8.4 I said would be required. And according to those
3 figures it would be sufficient to mix methane layers.
4 But, again, this is looking at an idealistic scenario. I
5 just wanted to clarify that.

6 Q. And I take it that your comments to me this morning
7 still have to be taken in the context of your general
8 comments about Kilborn that this page and a half of
9 ventilation description is not really what you would
10 consider a comprehensive or a detailed ventilation
11 scheme?

12 A. It's the kind of calculation I would carry out
13 literally on the back of an envelope, having discussed
14 this very briefly, mine plan very briefly.

15 Q. Okay. Let me come to the second point that I just
16 want an explanation on. You were talking about the
17 stoppings that were put in in place in the Southwest
18 district and we've heard evidence that the stoppings were
19 not put in as soon as they had withdrawn from the old
20 Southwest district, that there was a short period when
21 they had the air circuits still going through there. You
22 made a comment yesterday that if they had kept the
23 ventilation circuit going, they would have had difficulty
24 in establishing ventilation in Southwest 2. Do you
25 recall that comment?

DR. MCPHERSON, EXAM. BY MR. MERRICK

1 A. Yes, sir.

2 Q. Can you just explain what you meant by that?

3 A. The then abandoned area, Southwest 1, was subject to
4 pressure causing crushing of the pillars, spalling of the
5 rib sides. It was a prolific source of gas, had that the
6 ventilation been maintained in order to continuously
7 handle that source of gas, then it would have required a
8 large amount of ventilation simply to ventilate those old
9 Southwest workings. That's the first part of the answer.

10 The second part is that during that crushing of the
11 pillars, the destruction of the pillars, it would
12 obviously be impossible for anyone to go in there. It
13 would therefore be impossible to maintain a ventilation
14 circuit around the old Southwest 1 district. So one
15 would still have a disrupted -- one would not have a
16 circuit in there; it would simply be a mass of old
17 workings.

18 Q. I understand. You were asked some questions about
19 the cross-sectional dimensions of the road going up into
20 the Southwest 2 district and the impact that the
21 existence of a conveyor belt might have on that.

22 A. Yes.

23 Q. Now this was all in the context of the calculations
24 that you used to determine whether the air velocity was
25 sufficient to prevent layering.

DR. MCPHERSON, EXAM. BY MR. MERRICK

1 A. Yes.

2 Q. Assuming for the moment that for portions of that
3 roadway, at least, the conveyor system was up near the
4 roof, what do you say as to the appropriateness of that
5 kind of -- that for a location for a conveyor system?

6 A. It is not unusual to see conveyors slung from the
7 roof assisting it from resting on the floor. In the
8 particular case of a mine which is producing coal that is
9 gassy, and in this case we had a coal -- it was not only
10 gassy, of a medium gas content, but was mining coal in
11 the Southwest 2 district from an area of geological
12 faulting. This would mean that the coal would have
13 enhanced permeability, as we have already heard, and
14 therefore that gas would come off readily.

15 One of the sources of gas that we have not spoken of
16 to this time is the fact that the coal continues to make
17 gas as it comes out of the mine on the conveyors, on the
18 transportation system. Now in the Southwest 2-B Belt
19 Road, that is fragmented coal releasing its methane
20 readily. Because it is newly mined, mined only a few
21 minutes before, because of the freshly exposed surfaces,
22 because of the reduced size of the fragments, and the
23 fragments from a continuous miner are quite small, so gas
24 would be emitted from the coal along the conveyor route.
25 In those particular circumstances, it would not seem

DR. MCPHERSON, EXAM. BY MR. MERRICK

1 advisable to put the conveyor in the upper part of the
2 entry where the velocities are reduced in any case.

3 Q. And where there is a potential of gas that's coming
4 off there could be forming part of the layer?

5 A. Yes, sir.

6 Q. All right. Let me talk about your calculations and
7 your opinion on whether there was in fact a layer coming
8 up the Southwest 2-B Road. If it was in fact layering
9 coming out of the old Southwest and it comes up the
10 Southwest 2-B Road, I'll use the bigger diagram --

11 A. Uh huh.

12 Q. -- once it gets to the junction of Southwest 2-1
13 Road, this air circuit, the general body of air would be
14 moving around to the left --

15 A. Yes.

16 Q. -- to go back out again. I assume that the general
17 tendency of that layer would be more to go with the
18 general body of air, would it, rather than going up into
19 the heading?

20 A. We have two -- you recall we defined two causes of
21 the layer to move, one was indeed as you have just
22 suggested, the viscous drag of the air underneath; the
23 other one was the buoyancy of the gas going up hill. So
24 there would be a tendency of that gas, in addition to
25 what you said, to continue to move up the slope into the

DR. MCPHERSON, EXAM. BY MR. MERRICK

1 continuation of the Southwest 2-B Roadway.

2 Q. All right.

3 A. Whether or not it also still retained a
4 concentration to move sideways into the -- on the right
5 roadway, I forget the name of it here --

6 Q. Southwest 2-1.

7 A. -- Southwest 2-1, is a matter of conjecture.

8 Q. All right. Assuming for the moment that there was
9 no layer coming up the Southwest 2-B Road, that for one
10 reason or another it had in fact been mixed by the time
11 it got to the junction point at least of Southwest 2-1
12 Road --

13 A. Yes.

14 Q. -- I take it that that doesn't change your opinion
15 at all as to the possibility of a layer existing in
16 Southwest 2-1 Road having been created by the make of gas
17 during the mining operations?

18 A. That is correct. We do not need a layer coming up
19 Southwest 2-B for there to be a layer in the headings.
20 The layering in the headings would -- could have
21 certainly been caused purely by the make of the gas in
22 the headings.

23 However, there is one added comment I should make on
24 that. If, indeed, there was no continuous layer of the
25 Southwest 2-B roadway -- continuous -- then the first

DR. MCPHERSON, EXAM. BY MR. MERRICK

1 scenario I gave yesterday, I gave two scenarios about the
2 movement of the flame, the first scenario was the
3 propagation of that flame and back along the fuse path of
4 a layer, back into the Southwest 1 workings. If there
5 had been no continuous layer along the Southwest 2-B
6 roadway, obviously, that could not have happened. In
7 that case the burning flames of methane obviously must
8 have reached a concentration in the explosive range and
9 of sufficient volume to cause the explosion somewhere
10 before it reached the bottom of Southwest 2-B.

11 Q. All right. The one thing that we do know is that if
12 the ignition occurred up in those headings, it obviously
13 propagated --

14 A. Yes, sir.

15 Q. -- which means that there must have been a layer of
16 methane up in there?

17 A. Yes.

18 Q. From wherever it came from, there had to be methane?

19 A. Yes.

20 Q. Yes. And we also know that there had to be enough
21 methane and a layer of methane going far enough out and
22 perhaps down the Southwest 2-B Road to have allowed the
23 initial -- the ignition of the methane and the initial
24 burning of the methane to propagate into an explosion and
25 then have an explosion of sufficient force and shock wave

DR. MCPHERSON, EXAM. BY MR. MERRICK

1 to pick up and go into a coal dust explosion?

2 A. Yes.

3 Q. Unless, of course, there was methane all over the
4 mine, and that's not a question. So that whether or not
5 there is a layer all the way up that heading doesn't
6 change the fact that there was enough gas to start the
7 explosion in that area, if that's where it ignited?

8 A. That is correct.

9 Q. And, indeed, in your answer to me just a minute ago
10 I take it that it's conceivable that there may have been
11 a layer coming up that Southwest 2-B Road even partway
12 that may then have been ignited by the explosion?

13 A. Yes.

14 Q. Yeah. All right, I've got that. And I also assume
15 that -- let me back up. You were asked about whether the
16 stoppings that were placed in cutting off the old the
17 Southwest district, whether Section 71(11) of the Act
18 really applied to them or governed their construction
19 because of the definition of where that section applied.
20 Whether or not that section applies to those stoppings, I
21 take it that it's clear in your evidence that whatever
22 the legislation may mandate, prudent and safe mining
23 practice did not justify those stoppings that were in
24 fact constructed?

25 A. That is correct, sir.

DR. MCPHERSON, EXAM. BY MR. MERRICK

1 Q. And that prudent and safe mining practice and any
2 practice that is based on the criteria of safety for the
3 miners would have required better stoppings as you
4 described?

5 A. Yes.

6 Q. So safety required it, whether or not Section 71
7 required it?

8 A. Yes.

9 Q. You were asked if it would be possible for
10 management to have considered those stoppings in the old
11 Southwest district to be bleeder stoppings. You
12 indicated that in your opinion they were not bleeder
13 stoppings. Would any reasonable, prudent mine management
14 have any basis to consider those bleeder stoppings?

15 A. I spoke on Monday, I believe, about the bleeder
16 system of handling methane in old workings. And you may
17 recall, Mr. Merrick, that the bleeder system involved a
18 so-called bleeder return at the back of the far end of
19 those old workings such that air flowing into the front
20 of the old workings, picking up the methane, would then
21 continue in that same general direction and be collected
22 in the bleeder return and thereafter diverted into the
23 main return. That is a through flow of controlled air
24 through the old workings and the methane and air mixture
25 then being collected at the bleeder return. That is the

DR. MCPHERSON, EXAM. BY MR. MERRICK

1 situation in which a controlled amount of air is allowed
2 to go through what you are calling "bleeder stoppings."
3 I would refer to them as "regulators."

4 If you have no bleeder return on that far side, then
5 you do not have a bleeder system. And in that case,
6 leaving those stoppings on the front in a condition which
7 will allow bleeding or breathing of air backwards and
8 forwards is not advisable.

9 Q. And that would not be a decision that, in your
10 opinion, a reasonably prudent mine management would
11 consider an appropriate bleeder stopping system?

12 A. No.

13 Q. All right. You were asked about the adequacy of the
14 stoppings as far as whether they were in good condition
15 and whether they seemed to be doing the job. And you
16 were referred to some inspection reports that are in
17 Exhibit 37-A. If you can turn to that exhibit.

18 A. 37-A?

19 Q. 37-A. Sorry, these were the ventilation surveys.
20 And in particular we know from those ventilation surveys
21 that the suggestion is is that the stoppings that we're
22 talking about now were not constructed until about April
23 the 13th. And you were referred then to some indications
24 in a couple of them about the stoppings being in good
25 condition. Turn, if you will, to page 87. That's page 3

DR. MCPHERSON, EXAM. BY MR. MERRICK

1 of the April 23rd, 1992, ventilation survey. And on page
2 87, under the "stoppings," I'm interested in the two in
3 particular that are marked "C-1 inbye 3 Crosscut."

4 A. Yes.

5 Q. I assume that that has to be the first of those
6 stoppings into the old Southwest district. That C-1 Road
7 inbye -- wait a minute, down here, 3 Crosscut.

8 A. Yes.

9 Q. And we see there, "fair condition, plywood buckled."
10 Bearing in mind that that stopping had been constructed
11 just less than two weeks previously, what significance do
12 we see that already plywood has buckled and it's only in
13 fair condition?

14 A. It's an indication of the fact that the stress on
15 the sides of the roadways, the pillars between the
16 entries, is such as to cause convergence in those
17 locations where the stoppings exist. Convergence will
18 cause buckling. In properly constructed stoppings out of
19 masonry, concrete, rigid material, it is often the
20 practice to put so-called "squeeze pads" at the top of
21 the stoppings made out of material intentionally designed
22 to yield. Those are for that purpose. So this is an
23 indication that the area is suffering from stress.

24 Q. So that even within two weeks of constructing them,
25 they can only be described as fair condition and

DR. MCPHERSON, EXAM. BY MR. MERRICK

1 buckling. And I would assume that if you note that the
2 plywood is buckling, that is beginning to indicate that
3 it's going to impair the efficiency of the stopping,
4 whatever that efficiency had been?

5 A. Immediately cracks, fractures appear in it. Those
6 will add to the fractures that inevitably exist anyway
7 around the stopping to allow further leakage.

8 Q. All right. You were asked about whether -- if
9 readings were taken of methane at the roof level, that if
10 a ventilation survey indicated -- had no record of a
11 reading at roof level then we might assume, therefore,
12 that the gas reading at the roof level was okay.

13 Let me ask you this: would it not be the more
14 prudent practice that if you actually take a reading at
15 roof level that you will record the results of that
16 reading, whatever it may be?

17 A. Yes, sir, indeed. Because methane is lighter than
18 air, the first place one takes a reading when inspecting
19 for methane is at roof level.

20 Q. And if it's okay, that is -- it is as important to
21 record that it's okay or safe than it is to record if it
22 isn't?

23 A. If you take a reading during a ventilation survey,
24 it should be recorded.

25 Q. All right. The last topic I want to address with

DR. MCPHERSON, EXAM. BY MR. MERRICK

1 you are the inspectors' reports about stone dusting.

2 A. Yes, yes.

3 Q. If you turn to Exhibit 73, you were directed --
4 that's a black ring binder, you were directed yesterday
5 to some reports that we see under Tab 6 which started in
6 January 22nd of 1992 --

7 A. Yes, I have them.

8 Q. -- indicating that the inspectorate was concerned
9 about it. In light of the submission of those, I'm going
10 to suggest you turn to Tab 8. These are additional
11 documents that are in the possession of the Commission,
12 and I'm going to take you through them very quickly
13 because I know the time constraints we're under. Looking
14 at Tab 8, the first document we see is an assessment
15 report dated September the 4th, 1992.

16 A. Yes.

17 Q. Down under "Items Discussed," number 4, we see,
18 "Manager's stone dusting and dust sampling programs?"

19 A. Yes.

20 Q. So that was an item discussed. Turn over to the
21 next page, same date, same form. I'm sorry, 91. I'm
22 going too fast here. Next page, it's the page 2 in that
23 tab, actually. "Mr. Phillips said he will have a stone
24 dusting plan in place by September 30th, 1991."

25 A. Yes, I see that.

DR. MCPHERSON, EXAM. BY MR. MERRICK

1 Q. You see that?

2 A. Uh huh.

3 Q. All right. Let's flip over to the next page. This
4 is a memorandum which, I would guess, reflects the items
5 discussed and elaborates on what we just looked at. And
6 if you turn over to page five of the tab, the big stamped
7 "5" at the top, we see, "Stone dust plan, G. Phillips
8 promised to have a plan in the Department's hands by the
9 end of September, '91."

10 A. Yes.

11 Q. Let's keep going. If you can turn to page 8, sorry,
12 7, that's an assessment report dated September the 26th,
13 '91.

14 A. Yes.

15 Q. September the 26th, that's right. And if you can
16 turn over to page 9, we see there that on that day, at
17 the top of the page, second entry, "Stone dust was very
18 good on roof, sides and floor."

19 A. Yes.

20 Q. So that day they see that there is -- they record
21 that. Turn over to the next page, page 10, October the
22 7th. This is a safety walkthrough, Item 7, "One shift in
23 every set or section, men to be asked to work between
24 shifts to stone dust dust section." Let me keep you
25 going.

DR. MCPHERSON, EXAM. BY MR. MERRICK

1 A. Yes.

2 Q. Page 12, safety walk report, I assume it's referring
3 to the same incident because it's still dated October the
4 7th. "Rock dusting to be started and dusted daily
5 between shifts."

6 A. Yes.

7 Q. So there is some recording that there is to be that
8 done. Now let me take you to an assessment report dated
9 October the 29th, '91. This is page 14. And if you turn
10 over to the second page of it, middle of the page, "stone
11 dust along No. 1 slope is fair. A new stone duster will
12 arrive by November the 15th. The manager has agreed to
13 have someone put stone dust in each area until the new
14 duster arrives."

15 A. Yes.

16 Q. So this is October 29th. Let's keep going. The
17 next one is dated December the 4th, '91. Page 16 of the
18 tab, it should be, if anybody can find that. Turn over
19 to the second page which is page 17.

20 A. Yes.

21 Q. So in December the inspectorate reports, "Stone dust
22 was spread throughout the mine."

23 A. Yes.

24 Q. So there are some steps being taken, but it keeps
25 coming back. Turn over to the next page. This is a

DR. MCPHERSON, EXAM. BY MR. MERRICK

1 meeting held at Westray, December the 17th. If you turn
2 over to page 19, the second page of that meeting, we see
3 the item stone dust, "G. Phillips said they had two
4 machines to spread stone dust." Second paragraph down:
5 "Following some discussion, C. White was assured that the
6 stone dust scheme would be filed by the end of January
7 '92."

8 A. Yes.

9 Q. Apparently no stone dust plan other than getting men
10 to work overtime has yet surfaced. We come to the next
11 page, page 21, which is -- I'm sorry, we then go back to
12 tab 6, which are the documents submitted yesterday. I'm
13 trying to go in sequence here.

14 A. Yes.

15 Q. And we see there -- I'm trying to find any reference
16 there to where there was stone dusting.

17 A. At the bottom of the page.

18 Q. Oh, yes, you're right. "Stone dust needs to be
19 spread on a more regular basis, and Mr. Parry agreed to
20 see to this." All right, then we go to the next document
21 under that tab 6, a document you looked at yesterday.
22 This is February the 13th now. "Rock dust need in
23 different area of the mine. Housekeeping, et cetera."
24 Okay. Now turn back to tab 8 and we'll pick up the
25 sequence at page 21. We're still February, this time

DR. MCPHERSON, EXAM. BY MR. MERRICK

1 February the 19th.

2 A. Yes.

3 Q. And that's an inspection report in which stone
4 dusting was not mentioned. We assume that there is
5 nothing that caused the inspector to be concerned about
6 stone dusting on that occasion. Turn to page 22 under
7 that same tab. This is minutes of a meeting, February
8 26th, '92, page 23, the second page of that. "G.
9 Phillips reported that rock dusting would be on-going
10 with sampling procedures and stations in place in the
11 immediate future. Samples would be taken in
12 conjunction..." et cetera. "A. MacLean requested that
13 these systems be in place by the end of March with
14 written procedure and system submitted to the Department
15 of Labour." Let me keep moving here. Then page 26 under
16 that same tab, we now come to March the 2nd, meeting held
17 at Westray, "Item 5, stone dust, two machines are working
18 good and dust samples will be in place by March 15th."
19 And then we go back to tab 6 to pick up the sequence and
20 the last document that's under that tab is on that last
21 page where it says: "Mr. Parry agrees to look after the
22 items of concern. Also stated that a plan for stone
23 dusting is being put in place."

24 Now that merely completes to the extent that we have
25 documentation, the full recording dealing with stone

DR. MCPHERSON, EXAM. BY MR. MERRICK

1 dusting. Does that change your opinion at all as to the
2 amount of vigour that was being exercised by the
3 inspectorate officials in bringing that stone dusting
4 item under control so that, as you said it yesterday, it
5 would no longer be a problem?

6 A. I would seem to reinforce it, Mr. Merrick, what we
7 have looked at under your guidance going back to
8 September 30th, 1991 is the matter of stone dusting being
9 brought up time after time after time, promises having
10 been made by the mine management to do something about
11 it, including the putting in place of a stone dusting
12 plan. Despite all of those references to stone dusting
13 and despite all of those promises, nothing seems to have
14 been done. The impression one gets is that the
15 management were essentially listening to the admonitions
16 of the inspectorate and ignoring them.

17 MR. MERRICK Those are all the questions I have for you
18 on re-direct.

19 EXAMINATION BY COMMISSIONER

20 Q. Dr. McPherson, before you depart here, I have one
21 question that I wish to place before you. In a report in
22 Ontario on mine safety, the Chairman in his report made
23 the following statement, and I quote to you:

24 "We have found that a strong management commitment
25 to safe production, that is, an organization requirement

DR. MCPHERSON, EXAM. BY COMMISSIONER

1 that defined safety standards be met, is the dominant
2 common characteristic exhibited by the companies which
3 demonstrates superior performances.

4 We have discovered further that it is the chief
5 executive officer who sets the tone and insures that
6 safety is given the priority which it deserves. He
7 establishes the policy, defines responsibilities, and
8 allocates the resources necessary to bring about a safe
9 working environment."

10 Now given that quotation, Doctor, I ask you a two-
11 part question: One, do you generally agree with that
12 statement; and, secondly, if you do, is there any
13 evidence that such an attitude or approach was present at
14 Westray?

15 A. The answer to your first question, Mr. Commissioner,
16 is I wholeheartedly agree. One often hears at mining
17 conferences and talking to mine officials and mining
18 company owners and operators the saying that "A safe mine
19 is a profitable mine." And that certainly seems to be
20 borne out by the records of successful and unsuccessful
21 mines around the world.

22 If I may elaborate just one moment on this, this is
23 not at all a matter that should be wondered at. A mine
24 is successful like any other industrial or commercial
25 enterprise dependent primarily upon the people. In

DR. MCPHERSON, EXAM. BY COMMISSIONER

1 mining we have other issues, of course, the geology, the
2 difficulties, the hazards of mining, but, primarily, the
3 success of the mine in any given geological environment
4 depends on the people that are involved in it and the
5 people are the management as well as the work force. It
6 is very important to, if a mine is to be successful, to
7 have a high morale, to have good labour relations, to
8 have a happy work force.

9 All of these things will suffer if the miners are
10 required to work in conditions that are either
11 uncomfortable -- mining underground is never exactly
12 comfortable, but in the context of mining, and that they
13 also feel that they are working in safe conditions. If
14 they have questions, if they are uncomfortable, if they
15 are conscious of safety problems, then the morale will
16 suffer. The relationships between management and the
17 work force will suffer and, in those cases, this will
18 have a direct effect on the productivity, the success of
19 the mine. So my answer to that first question is
20 wholeheartedly, yes. Let me repeat, a safe mine is a
21 profitable mine.

22 With respect to your second question, that
23 psychological environment of creating that good morale,
24 engaging in matters that will lead to good labour
25 relations and a happy work force, those are matters that

DR. MCPHERSON, EXAM. BY COMMISSIONER

1 clearly depend on the philosophy adopted by the
2 management. The putting into place of procedures for
3 training, the putting into place of systems which result
4 in safe and reasonably comfortable conditions. Those are
5 matters that are decided by management and the position
6 of a chief executive layered on top of the immediate
7 level of mine management, again that philosophy must come
8 from the very top.

9 I have spoken of the conflict which seems to have
10 been apparent at Westray, a conflict between the
11 production of coal at the expense of safety. The
12 philosophy that developed such a situation at Westray, I
13 would suggest, would be one that has permeated that
14 company from the top level management to the mine level
15 of management.

16 COMMISSIONER Thank you very much, Dr. McPherson. You
17 may step down and drive safety. Staff Sergeant MacDonald
18 may give you immunity on your way to the airport.

19 A. I hope.

WITNESS WITHDRAWS

21 FREDERICK REGINALD BROOKES, sworn, testified as follows:

22 CLERK Could you please state your name and spell it
23 for the record?

24 A. My name is Frederick Reginald Brookes. F-R-E-D-E-R-
25 I-C-K. R-E-G-I-N-A-L-D. B-R-double-O-K-E-S.

MR. BROOKES, EXAM. BY MR. MERRICK1 DIRECT EXAMINATION BY MR. MERRICK

2 MR. MERRICK Mr. Brookes, have a seat. You presently
3 reside where?

4 A. I live in Cheltenham in England.

5 Q. You're presently retired?

6 A. Yes.

7 Q. At the time of the employment, your retention by the
8 Westray Inquiry, for how long had you been retired?

9 A. I had been retired for five years.

10 Q. Now where had you been employed at the time of your
11 retirement, your previous employment?

12 A. I've been employed at the Safety in Mines Research
13 Establishment which was also known as the Health and
14 Safety Executive.

15 Q. All right. Let me ask you a few questions about
16 that. I'd like to know a little bit more about that
17 establishment and generally how it developed and the work
18 that it does. Can you give me a brief history and a
19 lead-up?

20 A. Yes, the original work on the coal dust explosion
21 and the mechanism started early this century at one of
22 the -- actually one of the mines, the first gallery was
23 set up. But then that wasn't a suitable location,
24 obviously. So it was done in the northwest of England in
25 Cumberland where an establishment was set up and the

MR. BROOKES, EXAM. BY MR. MERRICK

1 director of that establishment was the professor of fuel
2 technology at Sheffield University and he combined the
3 two jobs.

4 But then engineering and the electrical work started
5 in Sheffield and part of the university buildings were
6 leased for that purpose. But this was not very
7 convenient for the large scale dust explosions. So a
8 suitable site was found at Buxton, which was about 30
9 miles from Sheffield, a site on the moors and plenty of
10 space to carry out these types of experiments. So this
11 started in the late '20s and carried on.

12 It was partly subsidized by the government and
13 partially by the coal owners. But after the war in 1947,
14 the mines in Britain were nationalized and came under the
15 jurisdiction of the National Coal Board, which was a
16 quasi sort of a government set-up. The people at the
17 laboratory which had developed on that site at Buxton
18 became part of the civil service, and it was renamed the
19 Safety in Mines Research Establishment.

20 And then in the early 50s, the work expanded, and
21 about the time when I joined them, they were recruiting
22 quite a lot of people and starting up new sections to
23 cover various aspects of mine safety. They had been
24 doing work on coal dust explosions for a long time. They
25 had been testing explosives, testing electrical equipment

MR. BROOKES, EXAM. BY MR. MERRICK

1 for safety for flameproof equipment that was used in
2 mines.

3 But then they started sections on the investigation
4 of mine fires, on frictional ignitions in mines, on gas
5 explosions and that type of thing.

6 Q. So that each particular problem area or anything
7 that seemed to be a particular problem area, a section
8 would be set up to be able to study it, research it,
9 develop recommendations.

10 A. Yes, that's correct.

11 Q. Something that we in Canada perhaps don't appreciate
12 is the extent to which this was -- that there was a
13 legitimate basis for the effort that went into this kind
14 of research in England. We have very few coal mines in
15 our country. I assume that -- I understand that in
16 England there were a number of coal mines.

17 A. Yes, I think speaking roughly, I would think in the
18 1950s there probably would be around about a thousand
19 mines.

20 Q. A thousand mines?

21 A. Yes, something like that.

22 Q. And I assume that there were a number of incidents
23 in those mines.

24 A. Yes, they occurred from time to time, yes.

25 Q. All right. So this Safety in Mines Research

MR. BROOKES, EXAM. BY MR. MERRICK

1 Establishment, I assume was of considerable size with its
2 various sections. How many employees would have been
3 employed at its peak?

4 A. Oh, the Buxton site, which was the explosion site,
5 there would be about 120, and there was more than that in
6 the Sheffield laboratory, where by now they were doing
7 the engineering and the electrical side.

8 Q. And you're talking about explosions. I understand
9 that you would actually construct a gallery or a mine
10 layout or a mine heading or roadway.

11 A. Yes. In the early days, the coal dust explosions
12 were carried out in steel tubes only about four feet
13 diameter. But plans were made to build a sort of mine-
14 sized roadway, and this would be open around about 1960,
15 something around about that time. This was a gallery
16 which was about 400 yards long and about 60 square feet
17 in cross section and of arch shape, so that it simulated
18 a mine roadway. And this was used for coal dust
19 explosions from that time on.

20 Also there was an underground roadway about 700 feet
21 long built under a hill on the site, and that was used
22 for fire research.

23 Q. All right, and this Safety in Mines Research
24 Establishment, I understand, really acquired quite a
25 world reputation for its research.

MR. BROOKES, EXAM. BY MR. MERRICK

1 A. Yes, indeed. Every second year, there was an
2 international conference on mine safety and the
3 establishment at Buxton and Sheffield was very well
4 represented at those meetings. And typical of the sort
5 of work that was done, Dr. McPherson referred to the
6 layering number developed by Baake & Leach. Baake &
7 Leach were scientists who were employed at the Sheffield
8 laboratory, and some of that work on the methane roof
9 layering was done in the underground tunnel at Buxton.

10 Q. I see. So that's where the layering index number
11 was developed?

12 A. Yes.

13 Q. And I take it there were other things that we now
14 take for granted in the mining industry, safety equipment
15 and such that was developed there.

16 A. Yes, the methanometer that is widely used, the hand-
17 held spotter type methanometer, which I believe was used
18 at Westray, that was an invention of someone at our
19 Sheffield laboratory. A detecting device known as a
20 pelister was developed at Sheffield. And the other two,
21 the methanometer that was in use was a very bulky piece
22 of equipment which was connected to a miner's electric
23 lamp battery. Of course, it was very heavy to carry
24 about, but this development allowed the hand-held
25 methanometer with -- requiring far less calibration as

MR. BROOKES, EXAM. BY MR. MERRICK

1 well -- to be used.

2 Q. I understand as well that this Establishment carried
3 out the certification testing for equipment that would be
4 used underground.

5 A. Yes, any heavy duty equipment such as switch gear
6 or, indeed, any other equipment on the machinery, et
7 cetera. The drawing, original drawings had to be
8 submitted and checked at Buxton and then the prototype
9 model was sent to the laboratories and tested there
10 before it was certificated to be allowed to be used in
11 mines.

12 Q. Now I understand from your resume that in Exhibit 53
13 under tab 1 that you commenced your employment with the
14 Safety in Mines Research Establishment in 1951. Is that
15 correct?

16 A. Yes, that's correct.

17 Q. And would that have been immediately following your
18 university training?

19 A. Yes.

20 Q. What was your university training?

21 A. I took a degree in physics and mathematics.

22 Q. And you then commenced employment in the coal dust
23 explosion section. That would have been one of the
24 sections that were set up as you described to look into
25 coal dust explosions?

MR. BROOKES, EXAM. BY MR. MERRICK

1 A. Yes.

2 Q. And I take that, or I understand that your work in
3 that section for those years would have been primarily
4 involved in investigating dust suppression methods.

5 A. Yes. Because of the work involved in carrying out
6 stone dusting in mines in which you've got to have, in
7 Nova Scotia, 65 percent incombustible dust mixed with the
8 coal dust, so you've got to add a lot of stone dust to
9 the dust already in the mine to make it safe and inert.
10 So we were looking at alternative methods which would
11 perhaps be easier to apply, and one of the things we
12 looked at was known as "the salt crust process" of
13 roadway dusting inhibition. It was to cover the whole of
14 the roadway, floor, roof and sides, with a layer of rock
15 salt applied wet so that you got a coating of rock salt
16 over the whole surface of the mine. And the idea behind
17 it was as the dust settled out from the mining
18 operations, that the salt would dry out and crystallize
19 and bind the dust into that base. And then you'd go
20 along and spray water on it, dissolve some of the upper
21 surface, and more dust would settle and the drying
22 process would occur again. In this way, you built up a
23 layer of rock salt and coal dust which would render the
24 mine safe and keep the dust bound down.

25 Q. That system, I take it, we know or we understand

MR. BROOKES, EXAM. BY MR. MERRICK

1 that it isn't being used. I take it there were problems
2 with that.

3 A. Yes, one problem was that the corrosive effect of
4 salt which the mining community were not keen to use. We
5 didn't think at the time that it would be a great problem
6 because of the way we were doing it, but that was one
7 objection, I think, that the mining industry had.

8 Q. Let me take you to --

9 A. Sorry, the other point was that the salt, sodium
10 chloride, won't dry out if the humidity, the relative
11 humidity of the air is above 75 percent. So that kind of
12 limited its application in certain places.

13 Q. Let me take you to the work that you then did with
14 the explosives research section. I understand that your
15 work there was, as you say in your resume, to basically
16 examine how a methane explosion would start, develop
17 methods of studying the shock waves produced by such
18 explosions, and look for methods to be able to record and
19 analyze it, such as very high speed photography.

20 A. Yes. The detonation processes in mining explosives
21 is very fast. The detonation wave travels down the stick
22 of explosive at about 2,500 meters per second. So if you
23 go to study this phenomenon, you don't have much time to
24 film it. And for this reason, we applied the use of a
25 camera that had been developed for work in the atomic

MR. BROOKES, EXAM. BY MR. MERRICK

1 weapons industry which would give us 34 frames at roughly
2 one microsecond, one millionth of a second per second
3 exposure. And we used that type of equipment.

4 We also use for still photograph a polaroid-type
5 camera which could be operated, a polaroid cell, which
6 could be operated to give exposures of, again, about one
7 microsecond.

8 The dangers with -- Well, the explosives that we use
9 in mines, of course, have to be tested. Now this work is
10 known as "permissible explosives" but they're not
11 entirely safe under certain circumstances, and that's if
12 breaks develop across the drilled hole where the
13 explosive is inserted and these can be vertical breaks
14 opening a gap vertically or across this way. So that the
15 object of the whole thing was to sort of look at the
16 processes of how the flame might start and think of ways
17 of developing tests to make sure that the explosive would
18 not ignite methane under those circumstances.

19 Q. Let me take you into the investigation section then
20 where you spent quite a number of years.

21 A. Yes.

22 Q. I understand that you became during your time there
23 the senior scientific officer?

24 A. Yes.

25 Q. I assume from the description that you have in your

MR. BROOKES, EXAM. BY MR. MERRICK

1 resume that this was the section that was responsible to
2 go to and carry out any necessary investigations in the
3 event that there was a mine incident, in particular, mine
4 explosions.

5 A. Yes. It developed because in the late 1950s, there
6 were quite a number of explosions in British mines, not
7 particularly intensive ones, but small explosions. But
8 there had been in about 1951, there had been a very large
9 explosion which killed 81 men, but smaller explosions had
10 occurred during those 1950s, particularly around about
11 1957. And hitherto, people, if the inspector wanted to -
12 - the mines inspector wanted scientific help in
13 determining the cause of the explosion, he would ask for
14 help from people in the laboratories, and they would be
15 seconded to do this work.

16 But it was decided round about the late fifties that
17 that would be an advantage, to have one section which
18 concentrated on this type of work. And they would be
19 able to respond very quickly to any call for help. So
20 this section was set up, and I was recruited into that
21 section a year or two after it started, in 1960.

22 And the set-up was that -- obviously, we didn't just
23 sit around waiting for explosions to happen. We had
24 other work to do. And we did research work or any other
25 minor examination of equipment that might occur. But if

MR. BROOKES, EXAM. BY MR. MERRICK

1 an explosion occurred, a mine explosion, the local Mines
2 Inspector would be informed immediately, and he would
3 inform the Chief Inspector or Deputy Chief Inspector of
4 Mines, and he would decide whether he required help,
5 scientific help, which he almost always did call us in.
6 And he would call us in straight away and we would drop
7 everything that we were doing. We had equipment all
8 ready, and we would go off to the mine as soon as
9 possible. And sometimes we had to wait until the rescue
10 teams had been in and recovered the bodies et cetera, if
11 anyone had been killed or -- and by this time -- we
12 didn't wear breathing apparatus. We weren't trained in
13 that aspect of it. We had to wait until the ventilation
14 was recirculating and it was safe to go in or relatively
15 safe to go in. Because sometimes the roof conditions,
16 obviously, were a bit dangerous. But we took a
17 calculated risk there. The inspectors wouldn't certainly
18 let us go in if they thought anything was going to happen
19 to us.

20 But that was the set-up. An immediate response to
21 the investigation, so that we would be there, either the
22 same day or the following day, and we would start our
23 investigation.

24 Q. In your resume you say that you were involved in the
25 investigation of every mine explosion in England but one.

MR. BROOKES, EXAM. BY MR. MERRICK

1 A. Yes.

2 Q. And the only reason you weren't involved in that
3 one, you were on holiday.

4 A. Yes.

5 Q. In fact, would it be fair, sir, to suggest to you
6 that on your knowledge of the mining industry and people
7 involved in it that you would probably have investigated
8 more mine explosions than anybody else alive today?

9 A. Yes, I think so, yes, probably just because of that
10 particular set-up probably, yes.

11 Q. All right, in addition to investigating the mine
12 disasters that you've listed in your resume, you said you
13 did research while in between waiting for the call.

14 A. Yes.

15 Q. I understand that that research included research
16 into the accumulation of methane in cavities?

17 A. Yes.

18 Q. And also a study into how coal dust particles burn
19 and the burning times of coal dust particles.

20 A. Yes, yes.

21 Q. Let me take you, before we get into the specifics of
22 Westray, tell me about some of the mechanisms of a
23 methane ignition, particularly in cases where there may
24 have been layering of methane.

25 A. Yes. Some of this will obviously cover old ground

MR. BROOKES, EXAM. BY MR. MERRICK

1 because yesterday we saw the demonstration of a methane
2 explosion, and the notes were very useful in that respect
3 that were given with that demonstration. But roughly,
4 the limits for methane air, methane to burn when mixed
5 with air, are roughly five parts of methane to 95 of air
6 and 15 parts to 85 of air. That's roughly 5 to 15
7 percent of methane. So those are the limits. It's got
8 to be mixed within those limits before it can burn or
9 explode.

10 Q. What about the temperature to ignite methane?

11 A. You need about five hundred and -- I think the
12 figure is 537 degrees Centigrade or 1000 Fahrenheit.
13 That's a red heat. We're looking at on a surface of that
14 kind of heat.

15 It can also be ignited by electrical sparks,
16 frictional sparks, and open flame. Those are the main
17 sources of ignition.

18 But I've listed in my report -- this is not an
19 exclusive list, but the main things that would occur in a
20 mine that would ignite methane. And these include the
21 friction ignition such as rocks falling on rock or rock
22 falling on steel, or rock being cut by metal where
23 sparking occurs at the pick face.

24 Q. Let me, in fact, focus on that or a moment. Tell me
25 the tendencies or the type of sparking or flaming that we

MR. BROOKES, EXAM. BY MR. MERRICK

1 would get, for example, if you had sandstone with quartz
2 inclusions. What would you -- and I'm talking now of the
3 frictional work of a pick on a continuous miner.

4 A. Yes, the quartz in the inclusions in the sandstone
5 have a very high melting temperature so that the picks
6 rubbing on the quartz can cause it to be raised to a high
7 temperature before it starts to melt. And so you get a
8 hot smear of molten quartz on the surface of the rock
9 which is sufficiently hot to heat any methane and ignite
10 it that comes in contact with it, provided it's within
11 the thermal range that I mentioned.

12 Q. So if it's sandstone, sandstone has got quartz
13 inclusions in it.

14 A. Yes.

15 Q. These are fragments of quartz.

16 A. Mmm.

17 Q. And if a pick then were to hit sandstone, that's
18 likely the mechanism by which you could get temperatures
19 sufficiently high to ignite methane.

20 A. Yes.

21 Q. Tell me now about pyrite.

22 A. Yes, pyrites is as well, sandstone pyrites, is a
23 well-known source of frictional ignition. In fact, I
24 mentioned earlier the large scale explosion that happened
25 in 1951, I think it was, at Easington Coal in England,

MR. BROOKES, EXAM. BY MR. MERRICK

1 when that -- 81 men were killed in that explosion which,
2 incidentally, developed into a coal dust explosion and
3 covered about nine miles of roadway.

4 Q. Nine miles of roadway?

5 A. Nine miles of roadway, yes. But that was attributed
6 to the ignition of the methane air which triggered the
7 whole thing off by the blunt picks of the coal cutting
8 machine striking pyrites. But the mechanism was somewhat
9 different to the one I've just described for the quartz
10 inclusions.

11 They found that grinding the pyrites into a powder
12 at temperatures round about 200 to 300 degrees Centigrade
13 could cause a hot spot on the -- or cause the powder to
14 heat, which would ignite the powder itself. That in turn
15 could ignite the methane. So it was a different type of
16 mechanism. And the tests after that explosion showed that
17 it wasn't very difficult to ignite methane air mixtures,
18 provided you had blunt picks on the --

19 Q. So blunt picks and pyrites you can get -- and the
20 presence of methane?

21 A. Yes.

22 Q. You could get an ignition of methane with a lower
23 initial ignition temperature of the pyrites?

24 A. Yes.

25 Q. That would cause the pyrites to ignite and then that

MR. BROOKES, EXAM. BY MR. MERRICK

1 would cause the methane to ignite?

2 A. Yes.

3 Q. It isn't the same mechanism as a hot smear?

4 A. No.

5 Q. This would be the burning of the pyrites particles
6 themselves?

7 A. Yes. I've mentioned the 51 -- in fact, work was
8 also done at the Safety in Mines Research Establishment
9 just before the war. The work was published in, I think,
10 1938, '39, in the transactions of the execution of mining
11 engineers in which they had already discovered that
12 particular mechanism and they had published a paper
13 giving the results of the work.

14 Q. So that's well established?

15 A. That's well established, yes.

16 Q. But I take it -- you mentioned the fact that blunt
17 picks.

18 A. Yes.

19 Q. And I assume, therefore, from your answer that if
20 you allow the picks on your cutting machine to become
21 blunt that that is going to increase that possibility?

22 A. Yes, yes. In fact, it increases the possibility for
23 quartz inclusions as well.

24 Q. So that it is a significant matter to ensure that
25 the picks on your cutting machine remain sharp. And in

MR. BROOKES, EXAM. BY MR. MERRICK

1 today's technology, I understand they have a tungsten --

2 A. Carbide.

3 Q. Carbide tips. Those continually should be replaced
4 if they start to become blunt?

5 A. Yes, indeed, yes.

6 Q. All right, assume for a moment that you get a
7 methane ignition. Tell me about how that can cause the
8 methane to expand.

9 A. Well, it's really a question of temperature. Once
10 the methane mixes to ignite, the temperature increases
11 and that produces a high pressure, and that pushes the
12 gas out. So that you get an expansion of the original
13 volume of gas. It really follows quite well known
14 physical laws, a combination of what is called Boyle's
15 Law and Charles' Law, where the original pressure and
16 volume divided by the temperature will equal the new
17 pressure and volume and temperature of the ignited
18 mixture. And it's a fairly easy calculation to show that
19 theoretically the expansion that you could achieve is
20 between seven and eight times the original volumes.
21 That's in ideal conditions.

22 But in actual practical situations, for example, in
23 a mine roadway, you get heat losses to the surface, back
24 pressure releases elsewhere, so that an extension will
25 occur, but it won't be the seven or eight times. It will

MR. BROOKES, EXAM. BY MR. MERRICK

1 be maybe three, four, five times.

2 Q. What do we know about if you have a methane layer
3 along the top of the roadway, what do we know about its
4 burning characteristics, depending on how high and how
5 concentrated it may be at the roof level?

6 A. Yes, these can vary. The unfortunate thing is that
7 although a lot of work was done on the formation of roof
8 layers, nobody -- not many people got around to igniting
9 the layer, so that the information on the actual burning
10 of layers is fairly limited. As far as I'm aware,
11 there's very little published. But one of the -- some of
12 the work that was published was published by the U.S.
13 Bureau of Mines, and they had a relatively short layer,
14 about 25 feet long. But they released the gas, the same
15 amount of gas, at floor level and mixed it in a uniform
16 mixture, and then released it at various sites up the
17 roadway until the last one was six inches from the roof.
18 And when they ignited it, they measured the flame speed
19 and the pressures involved, and the lowest flame speed
20 was the layer near the roof.

21 Q. So if gas is released near the top of your roadway,
22 this is a valid experiment -- if gas is released near the
23 top of the roadway, it will tend to burn slower
24 initially?

25 A. Yes, it depends -- it's a fairly complex sort of

MR. BROOKES, EXAM. BY MR. MERRICK

1 situation because the concentration of the layer will be
2 from maybe pure methane or something between that down to
3 the bottom of the layer where it will interface with the
4 mine air. So you get a concentration gradient across the
5 layer. And part of that gradient will be in these limits
6 between 5 and 15 percent. And a lot depends on just the
7 steepness of that gradient across the layer as to how it
8 would behave.

9 But if the flammable part of the layer is relatively
10 thin at the bottom of the total layer, you will get slow
11 burning because it's a kind of diffusion effect. You
12 have to mix the methane with the air in the roadway and
13 get it the flammable limit. And that can be a fairly
14 slow flame. So there's a whole range of speeds at which
15 the methane could burn.

16 Q. Once we have --

17 A. If I might just -- this is not only for layers but
18 for mixtures of methane under various conditions. So you
19 can get anything from a few centimetres per second
20 burning slowly all in the formation of methane. Or if
21 you get a whole roadway full of mixed methane that is in,
22 say, the flammable range in the middle of the range, you
23 can get 800 meters per second. So there's a whole range
24 of speed at which the methane can burn.

25 Q. If I'm understanding you correctly, and correct me

MR. BROOKES, EXAM. BY MR. MERRICK

1 if I'm wrong, then if we have a thin but highly
2 concentrated layer with not much of a mixed zone as part
3 of it, that will tend to burn much slower than if you've
4 got a thicker layer at that point in which the five to 15
5 percent zone is also much thicker.

6 A. Yes.

7 Q. So that if, for example, we have a thin layer that
8 has widened out, the further down you go, the faster the
9 flame may go?

10 A. Yes.

11 Q. Let me ask you about this: If you have a long,
12 straight area where this happens, is that the phenomenon
13 that, in fact, occurs? You used the phrase with me, "the
14 runout."

15 A. Yes, you get -- As the flame expands, it pushes the
16 air in front of the flame head and you get pressure waves
17 developing and those pressure waves heat the air in front
18 of them, and so they tend to go faster as the explosion
19 progresses. So that eventually those pressure waves
20 which are being given off from the front of the flame
21 build up on each other and produce a shock wave, which is
22 a steep-fronted wave of high pressure dropping down quite
23 sharply.

24 Q. Let me just stop you there for a second. I want to
25 make sure I got the first part of that. As the methane

MR. BROOKES, EXAM. BY MR. MERRICK

1 is burning, it, of course, creates a pressure wave ahead
2 of it.

3 A. Yes.

4 Q. Because of the expansion.

5 A. Yes.

6 Q. The pressure wave itself heats the air.

7 A. And the --

8 Q. And the methane.

9 A. And the burning methane as well, yes.

10 Q. Which allows the methane to burn faster.

11 A. Yes.

12 Q. Because the fuel now is pre-heated almost.

13 A. Yes.

14 Q. So the flame now starts to travel faster.

15 A. Yes.

16 Q. That puts out more pressure waves.

17 A. Yes.

18 Q. The pressure waves begin to build up on each other
19 going down that roadway.

20 A. Yes.

21 Q. And then we've got a shock wave.

22 A. Yes.

23 Q. All of a sudden that's a big much pressure gradient.

24 A. Yes.

25 Q. And then what happens, assuming you've got a rundown

MR. BROOKES, EXAM. BY MR. MERRICK

1 like in a mine roadway?

2 A. The speed of the whole thing can just increase quite
3 rapidly the longer the run-up because the pressure
4 produced is greater and the flame speed is proportionate
5 to the pressure.

6 Q. If you have enough area to allow this run-up to
7 occur, what ultimately happens?

8 A. Well, it will continue until you run out of fuel.
9 The shock wave that's being produced will continue and
10 slowly attenuate when it's no longer being fed from
11 behind.

12 Q. Now I'm not suggesting that this happened in
13 Westray, but what if you don't run out of fuel? What if
14 it just keeps going?

15 A. Yes, well, in the ultimate, and this is very rare,
16 this phenomenon can increase, the pressure can increase
17 in the shock front, and there's enough energy in that
18 shock front to actually ignite the gas on the spot as it
19 hits it.

20 Q. Even before the flame gets there?

21 A. Yes, so you get another flame front produced and
22 this reaction is at the same place as the shock wave so
23 that the two are together, and that is a phenomenon known
24 as detonation, which is a very short but very high
25 pressure zone.

MR. BROOKES, EXAM. BY MR. MERRICK

1 Q. That's a really big explosion.

2 A. That's a really big explosion, yes.

3 COMMISSIONER Mr. Merrick, can I just ask one brief
4 questions here of Mr. Brookes? The methane on the roof
5 is, as you said, in varying concentrations. It could be
6 almost pure methane at the top coming down to the
7 explosive between five, 15 percent.

8 A. Yes.

9 COMMISSIONER And then down there to the non-explosive.

10 A. Yes.

11 COMMISSIONER If you have the explosive methane
12 cushioned between two insulators, how does it get to
13 explode in the first place or ignite?

14 A. Well --

15 COMMISSIONER Do you see what I mean?

16 A. Yes. The ignition would occur at some other point
17 which would, for example, if the methane were being
18 released out the coal face and streaming up, there could
19 be some mixing occurring as it streamed up.

20 COMMISSIONER And work itself into the flammable
21 section, I suppose.

22 A. Yes.

23 COMMISSIONER Okay.

24 A. And then that would ignite.

25 COMMISSIONER Okay, thank you.

MR. BROOKES, EXAM. BY MR. MERRICK

1 A. A good point.

2 MR. MERRICK I assume that wherever we've got a high
3 concentration of methane, whatever you take it to be, 50
4 percent, 90 percent, there always must be, perhaps very
5 small, but there always must be that zone between it and
6 air in which the percentage has to pass between five and
7 15 percent.

8 A. Yes.

9 Q. Okay, and if you've got that in the vicinity as you
10 described where you might have had a pyrites ignition,
11 then it would travel up and go from there.

12 A. Yes.

13 Q. All right, I understand. What do we know about how
14 much methane it might take or require -- Well, let me
15 back up. We've heard evidence about how these pressure
16 waves can kick up coal dust and that coal dust itself can
17 then become involved in the explosion. I'm going to talk
18 about that in just a second.

19 Do we know how much methane it would take as an
20 ignition source itself burning to be able to generate a
21 coal dust explosion?

22 A. I think, from memory, I think I've seen the figure.
23 It's quite low. I think it's only about one and a half
24 cubic meters.

25 Q. Of methane?

MR. BROOKES, EXAM. BY MR. MERRICK

1 A. Yes.

2 Q. Not much.

3 A. No.

4 Q. All right. Now let's talk about coal dust
5 explosions for a second.

6 A. If I might just add something about another figure
7 that comes to mind is that in Polish experiments, they
8 were able to start a coal dust explosion with a roof
9 layer of methane only two inches thick, but about 150, I
10 think it was 150, or something of that order, long.

11 Q. 150 inches long?

12 A. Feet.

13 Q. Feet.

14 COMMISSIONER Since we had our demo yesterday, could Mr.
15 Brookes kind of relate that half cubic meter to the
16 amount of methane that was used in the display there
17 yesterday?

18 A. One and a half cubic meters.

19 COMMISSIONER One and a half, sorry.

20 A. Yes. I'm just trying to think. It would be, in
21 fact -- I'm thinking of a cubic meter. Let's think of a
22 cubic yard actually is easier for me. 27 cubic feet and
23 say that box that we saw was two cubic feet. It's
24 something like 15 times that size, 13, 15 times.

25 COMMISSIONER Still not a big --

MR. BROOKES, EXAM. BY MR. MERRICK

1 A. Not a vast.

2 COMMISSIONER Okay.

3 MR. MERRICK And we're talking here about the amount of
4 methane that would be required not in a container like we
5 saw yesterday but just in a mine condition that would be
6 sufficient to actually cause a shock wave to stir up the
7 coal dust.

8 A. Yes.

9 Q. Whereas yesterday we didn't have to create a shock
10 wave to do that.

11 A. No.

12 Q. All right. Let's talk about coal dust explosions
13 for a minute. Let me begin with: How much coal dust do
14 you need in the air for it to be able to ignited as part
15 of an explosion?

16 A. Well, the figure I quote here, which I think I got
17 from the Polish work, was a standard book on coal dust
18 explosion by Professor Cybulski, and he quotes a figure
19 of .04 kilograms per cubic meter of coal dust. It was
20 sort of a low limit.

21 Q. That's your minimum.

22 A. Yes, or that's 40 grams. There's some useful
23 information on the sheet that we were given yesterday and
24 the figure there was .05 kilograms per cubic meter. So
25 it's something of that order, but it's a very small

MR. BROOKES, EXAM. BY MR. MERRICK

1 amount of dust.

2 Q. Do we know if there's a upper limit? If you get so
3 much coal -- Like we know with methane, that once you get
4 over 15 percent, you no longer have an ignition problem.

5 A. Yes, again, this is open to debate. I think on that
6 sheet they gave an upper figure of about 100 times the
7 .05, which would be five kilograms per cubic meter. So
8 it's something in that order, but it's difficult to
9 measure. And some people say you can't measure it
10 because you're not certain at that sort of concentration
11 whether you've raised the whole dust into the apparatus
12 that you're using to carry out the measurement. But I
13 think the point is that the flammable range for coal dust
14 is much greater than for methane air mixtures.

15 Q. Just to give me an idea, at the lower level, .04
16 cubic kilograms --

17 A. .04 kilograms per cubic meter, yes.

18 Q. Per cubic meter. How opaque would the air be? How
19 much dust would there be in the air?

20 A. It would be very opaque. Something approximating to
21 a miner's cap lamp bulb. You wouldn't be able to see
22 that light at a distance of about two meters.

23 Q. So if a miner were standing away from me two meters
24 away with his cap light on, I probably wouldn't be able
25 to see the cap light.

MR. BROOKES, EXAM. BY MR. MERRICK

1 A. And he wouldn't be able to breathe. He'd have to
2 get out somewhere else in that atmosphere, so it's very
3 much greater than the normal dust present in the mine
4 anyway.

5 Q. Now we've heard evidence and we're going to hear
6 more evidence about the amount of incombustible material
7 that you have to mix with coal dust to make it inert.

8 A. Yes.

9 Q. We know in our legislation it requires
10 incombustibles of 65 percent.

11 A. Yes.

12 Q. As a general rule, what sort of percentage of
13 incombustibility is it your experience and your
14 understanding that you should have to inert coal dust?

15 A. Well, in experiments carried out to find the inert
16 material required from -- It's based really on the
17 volatile content of the coal, things like methane that
18 are included in the coal and tars.

19 Q. Propane?

20 A. Yes, there's a lot of -- there's a whole range of
21 gases contained in the coal, which those are known as the
22 volatile contents, the volatile content of the coal.
23 When you drive those off, you're left with the carbon
24 residue plus any mineral that's present in the coal. But
25 the experiments show that it depends quite largely on the

MR. BROOKES, EXAM. BY MR. MERRICK

1 volatile content of the coal under -- up to about 20
2 percent volatile. The curve goes from zero, so the coal
3 won't explode. It doesn't really need any inerting. And
4 at about 20 percent and above, fairly level above that,
5 just going slightly at around about 60 percent inert. So
6 if you take 65 percent, you're just above that level, but
7 it doesn't give you a lot of margin for error.

8 So in the United Kingdom the amount of inerting
9 required is based on the volatile content of the coal,
10 and so it can go up higher than the 65 percent.

11 If the volatile content -- speaking from memory, if
12 the volatile content is about 35 percent, they go to
13 about 75 percent inert required.

14 Q. So the coal dust has in it the gases that are
15 themselves very flammable.

16 A. Yes.

17 Q. And the more gas it has in it that's flammable, the
18 more inerting material you obviously need?

19 A. Yes.

20 Q. Okay. And I assume that that is the same reason why
21 you often see regulations enacted that if there is
22 methane present in the general body of air, not in the
23 coal dust itself, but in the general body of air --

24 A. Yes.

25 Q. -- you must increase the percentage of your inerting

MR. BROOKES, EXAM. BY MR. MERRICK

1 material?

2 A. Yes.

3 Q. Because methane in the general body of air will act
4 almost the same as methane in the coal particles
5 themselves?

6 A. That's right, yes.

7 Q. Okay. I've understood that. Now once you get coal
8 dust ignition, you've got a shock wave that has thrown up
9 into the air enough coal dust?

10 A. Yes.

11 Q. And the coal dust itself has become a part of the
12 explosion. Do you need methane to continue that on?

13 A. No. If there is insufficient inert material raised
14 when the coal dust is raised by this shock wave or
15 pressure wave ahead of the flame, if there's insufficient
16 inert material, the coal dust will be ignited by the
17 methane flame, and you probably get a period when the two
18 are continuing together. But if the methane at that
19 stage runs out, you've run out of fuel, the coal dust can
20 then continue to burn on its own and then the pressure
21 produced by that coal dust flame is sufficient to be self
22 feeding and raising more dust from the surface of the
23 mine roadway. This is why, harking back to the Easington
24 Colliery explosion, it was able to do that and travel
25 with less distance of --

MR. BROOKES, EXAM. BY MR. MERRICK

1 Q. Nine miles.

2 A. -- nine miles.

3 Q. Obviously you wouldn't have had nine miles of
4 methane. That was nine miles of coal dust.

5 A. No, no, and this is the reason that if the explosion
6 is extensive that it's very unlikely that it's all due to
7 methane.

8 Q. Once you get a coal dust explosion, tell me about
9 the difference in characteristics that we may get as far
10 as the zone of burning and the length of burning?

11 A. Yes. We -- the flame front in a methane explosion
12 is much thinner. The actual flame moving through the gas
13 air body is much thinner. So if it's travelling fast,
14 it's only in contact with the roof and sides or the
15 surfaces of the roadway for a short period of time, so
16 that you can get a methane explosion occurring in a mine
17 and you go down afterwards and not see any sign of
18 burning to the naked eye.

19 But with a coal dust explosion the actual extent of
20 the flame is very much greater. It may be several
21 hundred feet -- well, it's hard for me to say that -- it
22 can be of that order because the -- it takes time for the
23 coal particles to burn. You've driven off the volatile
24 material which is ignited but the coal residue, that
25 which is mainly carbon, is still probably burning and

MR. BROOKES, EXAM. BY MR. MERRICK

1 it's a much slower process, that. So you get a longer
2 burning zone in a coal dust explosion.

3 Q. And what do you get as far as force and pressure?
4 Which provides a more destructive force?

5 A. Well, that's a bit difficult to say because it
6 depends on the concentrations involved. But the --
7 because the limits of ignition for coal dust are very
8 much wider than for methane, it's likely that you would
9 get more energy produced in the coal dust explosion,
10 weight-for-weight, than you would in the methane air
11 explosion. That's not to say that you can't get
12 tremendous damage done by methane air explosions alone.

13 Q. All right. One last question on this point. I
14 assume that in a coal mine with a conveyor system if an
15 explosion should occur that now involves coal dust, the
16 conveyor roads are the more likely path of it, all other
17 things being equal, because that's the area where you're
18 most likely to have the most fuel --

19 A. Yes.

20 Q. -- for the explosion?

21 A. Yes, because it's difficult to deal with the coal
22 dust present on the actual conveyor because it's there
23 all the time. If you're conveying coal, you've got dust
24 on that conveyor and that's not mixed with inert
25 material, so that if an explosion occurs, that can be

MR. BROOKES, EXAM. BY MR. MERRICK

1 raised off the conveyor belt and propagate an explosion.

2 Q. All right. Thank you. This is one point we could
3 break for the mid-morning, Mr. Commissioner.

4 COMMISSIONER Okay, fine. Let's take our morning break.
5 15 minutes, thank you.

6 INQUIRY RECESSED (TIME: 11:05 a.m.)

7 INQUIRY RESUMED (TIME: 11:22 a.m.)

8 COMMISSIONER Mr. Merrick?

9 MR. MERRICK Thank you.

10 Q. Mr. Brookes, let me bring you to the topic of
11 investigating a mine explosion. To begin with, just in
12 general terms, how do you go about carrying out such an
13 investigation?

14 A. Well, the first thing -- really, you need to
15 establish three things in general in an investigation.
16 You need to know the actual extent of the explosion path.
17 Once you've established that, you can -- you know that
18 the source of ignition is somewhere within that area, so
19 you look for possible sources of ignition. And then you
20 want to know really where the fuel came from. Usually,
21 as we've said, that mine explosions usually start off as
22 methane air explosions and sometimes develop into coal
23 dust explosions. So those were the three things.

24 And in my experience, mainly in deep mines with
25 vertical shafts, the explosion itself was confined to

MR. BROOKES, EXAM. BY MR. MERRICK

1 somewhere within the mine. It didn't exit through the
2 portals as the case at Westray. So it occupied a
3 definite area or a section of roadways in the mine, so
4 you had to look within that area. And, as I mentioned
5 previously, that the methane explosion can travel fast in
6 certain circumstances and so walking along the roadway,
7 it may not be possible to see actual signs of burning or,
8 indeed, there may or may not be great damage. So what we
9 did was to collect samples of material from the sides of
10 the roadway in a systematic manner. We would fix a date
11 and point, lay out a long 100-yard tape or whatever
12 and --

13 Q. This is in a typical investigation?

14 A. Yes. And then we would go along and we would look
15 for anything which might show signs of burning, not
16 perhaps to the naked eye, but when examined under a
17 microscope. For example, if you got a little piece of a
18 string that were left. Sometimes surveyors use string in
19 their work and leave it hanging from the roadway, and you
20 could pick a bit of string, and it may not appear to be
21 burnt until you sort of look at it under the microscope
22 and you see the signs of burning. So anything of that
23 nature that was fixed in position, hadn't been blown
24 about by the explosion, was still where it would have
25 been tied or a piece of wood, wherever it was in its

MR. BROOKES, EXAM. BY MR. MERRICK

1 original position, we would collect, and a subsequent
2 examination of that material would tell us where the
3 flame had been.

4 Also at the same time we would gather samples of
5 coal dust, brushed coal dust, from vertical surfaces,
6 usually from the arches supporting the roadway. We'd
7 collect a few grams of coal dust, and that would be
8 examined to see if it had been burned during the
9 explosion. While we're doing all this, we would
10 obviously be making notes about the direction of blast,
11 particularly where heavy objects, if they had been moved
12 in a particular direction, if arches had been moved in a
13 particular direction and, indeed, anything that had moved
14 from its original position which would give us an
15 indication of the way that the explosion was travelling.

16 So that was the first thing, to do the systematic
17 examination of the roadway, making as many notes as we
18 could and collecting as many samples as we could.

19 Q. I take it that the reason you're looking for
20 evidence of burning is that that obviously tells you if
21 flame has gone by that portion of the roadway?

22 A. Yes. Yes. You said that you would try to take dust
23 samples from vertical surfaces. Why would you prefer, if
24 possible, to get them off vertical surfaces?

25 A. Well, the vertical surfaces would have less dust on

MR. BROOKES, EXAM. BY MR. MERRICK

1 them in the -- before the explosion, being relatively
2 clean compared with the floor of the mine roadway. And
3 if there were small deposits, they would probably be
4 displaced by the explosion so that the dust that we
5 collected after the explosion would probably be dust that
6 had been impacted onto the supports or had settled out
7 and settled on that part of the mine. So that if we then
8 examined the dust, the post-explosion dust, we could
9 determine the degree to which it had been burned. Where
10 if we had picked samples from the floor, we might have
11 been picking stuff that was underneath the top layer.
12 And that might include unburnt material and would give us
13 a wrong sort of measurement.

14 Q. All right. When you're looking at -- you say you're
15 also looking at the signs of force, you know, how things
16 have been moved around in a mine --

17 A. Yes.

18 Q. -- how important is it or how usual is it to see
19 signs of force going in one way but also to see signs of
20 something else being moved in another direction?

21 A. Yes, that is not uncommon and can be misleading. It
22 can be misleading in certain circumstances, but because
23 particular lighter objects can be moved in that way
24 because you get -- the shock wave can be reflected from
25 surfaces and moved the other way. As an analogy, perhaps

MR. BROOKES, EXAM. BY MR. MERRICK

1 if you throw a stone into a pond, you see the ripples
2 moving out from the center of that point at which the
3 stone has entered. And if there's a log in the pond,
4 when those waves hit the log, they'll move in the
5 opposite direction. It's just a reflection, basically.
6 But you can -- that -- if there are bends in the road, as
7 at Westray, where you get bends there and there
8 [indicating on chart], that sort of areas, you could get
9 reflected shocks from those corners, for example, or from
10 any of -- the dead end is what you find on these
11 roadways.

12 Q. So that the forces taking place during an explosion
13 will not necessarily all be in the direction of the
14 explosion?

15 A. No. Another point is what -- once the flame has
16 died, rapid cooling occurs. The heat, the gas that is
17 left, the burned gas or products of the explosion that
18 are left cool fairly rapidly. That heat is absorbed by
19 the mine surfaces. So you get a partial vacuum created
20 which sucks the air back in, so you get this sort of
21 movement.

22 This is very obvious in surface galleries such as
23 the ones that -- or the one that we had at Buxton where
24 you have a, as I mentioned, a gallery 400 yards long with
25 a closed end and you create a dust explosion in that

MR. BROOKES, EXAM. BY MR. MERRICK

1 gallery. It reaches the end and then the gas cools. A
2 partial vacuum is created so you suck dust back into the
3 tunnel and then that pressure wave that goes back in
4 reflects on the closed end of the gallery and pushes the
5 whole thing out. So you get this kind of breathing of
6 the tube. And this sort of thing can occur underground.

7 As an example of this, I might mention -- I wasn't -
8 - it was after I retired, but someone told me that by the
9 side of the gallery someone had left a huge or a large
10 wooden crate and they conducted an explosion in the
11 gallery. And as the pressure wave came out, it created a
12 vacuum which sucked the crate into the gases that were
13 coming out. Then the crate was sucked back into the
14 gallery and the next instant it came out as matchwood.
15 So those were the sort of forces involved.

16 But this is the -- the point -- the whole point I'm
17 making is that you can get these, what I've called,
18 "rarefactions," which can move lighter objects in
19 different directions.

20 Q. So when we're looking at physical signs of damage,
21 there may be contradictory signs there. What should we
22 be looking for in order to know the direction of the
23 explosion itself?

24 A. Yes. Well, we're looking for fairly heavy objects
25 that have moved that are not likely to be moved by this

MR. BROOKES, EXAM. BY MR. MERRICK

1 other movement. For example, the heavy supports which
2 have been knocked down to floor level or bent towards the
3 direction of the blast. But even then you've got to be
4 very careful about looking at those, because with a
5 support you don't know whether the bottom of the support
6 has been hit and it's tilted it that way or it hit it at
7 the top and tilted it that way. So, really, sometimes
8 you need to have an examination of the base of the
9 support.

10 Q. I take it that what's important is when looking at
11 all these signs of physical movement, particularly with
12 the heavier objects as you've indicated, it's important
13 to try to determine the general trend of movement?

14 A. Yes, that's exactly the point. The general trend is
15 the important thing, yes. And you can --

16 Q. Not --

17 A. You can ignore slight variations in that if -- or
18 contradictory evidence of small objects moving somewhere
19 else.

20 Q. All right. And do you also look -- you say you look
21 for the source of gas, if possible.

22 A. Yes.

23 Q. Yes, sometimes -- indeed sometimes the gas might be
24 still forming and be still there and building up again as
25 it was to the pre-explosion level. And sometimes we did

MR. BROOKES, EXAM. BY MR. MERRICK

1 simulation. If there was a feeder of gas that we were
2 able to find coming from a fissure in the roof, for
3 example, we might try to reconstruct those conditions and
4 form -- if that was forming a methane roof layer, for
5 example, we would see if we could form that layer again
6 and this, in fact, was done, at one of the explosions
7 that I helped investigate. Obviously, you've got to be
8 very careful about the conditions when you conduct this
9 type of experiment to make sure that there is not going
10 to be another ignition go off.

11 Q. You want to reconstruct it but not completely. In
12 this case, of course, it was impossible to get into the
13 south -- that would only happen where you can get back
14 into the mine --

15 A. Yes.

16 Q. -- in a safe environment?

17 A. Yes.

18 Q. All right. One last question that I forgot to ask
19 you about coal dust explosions. How likely is it that
20 the initial ignition could have been purely coal dust?

21 A. It's very unlikely but not impossible. But the --
22 really, that probably one -- there were very few things
23 that would cause that to happen. One is a blown out
24 explosive charge of a non -- possibly a non-permissible
25 explosive which would create a dust cloud and also

MR. BROOKES, EXAM. BY MR. MERRICK

1 provide the heat to ignite the dust.

2 Another possible cause which I've put in my report
3 is that if, for example, you had a mine car full of coal
4 with a lot of dust in it and that ran away, tipped over
5 and the same time severed an electric cable so you've got
6 a cloud of dust formed by the tipping over of the mine
7 car, you severed a cable, you produced quite a strong
8 electric arc. This would ignite the coal dust. And so
9 that could initiate a coal dust explosion. I can't quote
10 an example which I've had personal experience of in an
11 investigation.

12 Q. This doesn't happen that frequently?

13 A. No, this is very rare indeed. But the example I was
14 going to quote was that we did invest an explosion of
15 cornstarch which is the stuff they make custard powder
16 from and they overfilled a hopper which burst the top off
17 the hopper, and that broke the electric conduit, creating
18 an electric arc, and that ignited the cornstarch dust.
19 So that's a typical example of a dust explosion that can
20 start electrically. But, as I say, they're very rare
21 underground.

22 Q. All right. Let me bring you now to the
23 investigation that you conducted at Westray itself. Tell
24 me about -- you went down into the mine on one occasion
25 yourself?

MR. BROOKES, EXAM. BY MR. MERRICK

1 A. Yes.

2 Q. And some of the sampling that was done was done by
3 others and not yourself.

4 A. Yes.

5 Q. And, in fact, you say in your report that your --
6 you had limited both time and area in which you could
7 yourself carry out observations. How did that come
8 about?

9 A. Well, on arriving at the mine, we were told that the
10 conditions were very dangerous underground and that we
11 would be really foolhardy to go underground at Westray.
12 But we -- on discussing this, we thought -- I
13 particularly thought I had come 3,000 miles, and I didn't
14 want to go back without going down that mine. But I must
15 admit, I had my doubts about it and it was sort of touch
16 and go whether we went down.

17 But -- and even, after some discussion, it was
18 agreed that we would go down if we were accompanied by a
19 team of draegermen who were wearing breathing apparatus,
20 and that we would carry an oxygen set, breathing
21 apparatus, with us and if an emergency arose, that we
22 would put this on and hope we would get out.

23 I think the possible danger there was that there
24 might have been carbon monoxide remaining in those
25 sealed-off areas which, if there had been a fall or

MR. BROOKES, EXAM. BY MR. MERRICK

1 something of that nature, that could have been expelled
2 into the roadway, and we were in the intake roadway and
3 that would have been, obviously, very dangerous.

4 But nevertheless, after some discussion, it was
5 agreed that we were -- we would go down. I believe the
6 Department of Labour weren't keen on us going down
7 because of the danger.

8 And as a last straw, the acting mine manager told us
9 that we were going entirely at our own risk and that if
10 any man wanted to drop out, he could do so. But being
11 stout-hearted fellows, we decided to risk it.

12 And -- but because we were accompanied by the
13 draeger team, that limited the time for which we could be
14 underground. And, say, if it was a half an hour to
15 travel down and half an hour to travel back, that limited
16 roughly the time to about two hours, which isn't very
17 long to get a climate as to the conditions and get your
18 bearings and start doing work. So that limited my --
19 actually limited the extent of my investigation.

20 Q. So that was the reason for the time limitation that
21 was imposed on you. There was also a sort of a
22 geographical limitation imposed --

23 A. Oh, yes.

24 Q. -- on you?

25 A. Yes. Although we were in the intake roadway, we

MR. BROOKES, EXAM. BY MR. MERRICK

1 were advised not to go into the return because of more
2 dangerous conditions that might occur there if -- the
3 possible danger of falls or gas coming into the returns
4 is what I understood.

5 And so at first our or my investigation was limited
6 to the intake side of the roadway. But after the draeger
7 team had been through, we were allowed to just go through
8 the -- I think it was the No. 10 Crosscut into the return
9 and just have a look in the return, around that area.

10 Q. So the extent of where you were able to physically
11 observe would be going down the No. 1 Main slope --

12 A. Yes.

13 Q. -- to the No. 9 Crosscut?

14 A. Yes.

15 Q. You were then able to observe the main slope in the
16 area of 9 and 10 Crosscut --

17 A. Yes.

18 Q. -- a short distance inbye of 10 Crosscut?

19 A. Yes.

20 Q. And once the draeger team had gone into the return
21 and satisfied themselves there was a reasonable degree of
22 safety, you were allowed in the crosscut and into short
23 distances in the No. 2 return --

24 A. Yes, that is correct.

25 Q. -- in the vicinity of 10 Crosscut?

MR. BROOKES, EXAM. BY MR. MERRICK

1 A. Yes.

2 Q. But that was it?

3 A. That was it, yes.

4 Q. And that is a very limited range for you to do the
5 kind of investigation you would like to do?

6 A. Yes. I quote in my report that one of the last
7 major -- not the last one but the penultimate explosion
8 investigation that I was involved in Golborne Colliery in
9 England in which 10 men were killed, the time we spent
10 underground, and it was a more simple layout than the
11 Westray layout and of less extent. We spent about 14
12 man-hours -- 14 man-days, I should say, 14 man-days for
13 the scientific staff involved for those alone, not
14 counting the time spent by inspectors and other people
15 down there. So it's 14 man-days in carrying out this
16 investigation as opposed to two hours at Westray.

17 Q. All right. So with that explanation as to the
18 limits that you were operating under, let me take you
19 down that No. 1 Main and we'll review your observations
20 as we go down. And then we'll talk about the sampling
21 after that.

22 Just give me one moment to get the -- make sure I've
23 got the right books in front of me. We are going to need
24 59, Exhibit 59 which is the booklet of the photographs
25 that we see on the wall. And, in addition, you want to

MR. BROOKES, EXAM. BY MR. MERRICK

1 refer us to some additional photographs that were taken,
2 some during the incursion in which you're talking about
3 and others during the time that the RCMP went into and
4 they are found at Tab 9 of Exhibit 73. Do you have those
5 in front of you?

6 A. Yes.

7 Q. All right. Let's start down the No. 1 Main and
8 we'll -- and tell me what observations you made as you
9 went. And we'll be, in effect, following your report as
10 well at pages -- Let me just find it here.

11 A. Page 7, I think.

12 Q. You may be right. Yes, you're right, starting at
13 page 7. Okay, what observations did you make that were
14 of assistance to you in developing your opinions that
15 you've expressed in your report?

16 A. Well, the first one, we've got No. 7 Crosscut, which
17 is Photograph 35.

18 Q. That's under tab 9, okay.

19 A. There was two vertical girders joined by a
20 horizontal roof girder which appeared to have been blown
21 out of the entrance to the crosscut.

22 Q. Now let me just get an orientation here. That's Mr.
23 Smales, I believe, in the foreground, is it?

24 A. Yes, it looks like Mr. Smales, yes.

25 Q. And are you telling us then that we're looking down

MR. BROOKES, EXAM. BY MR. MERRICK

1 the No. 1 Main?

2 A. Yes.

3 Q. And to the right of Mr. Smales or to the right of
4 the photograph would be the entry to the crosscut over to
5 No. 2.

6 A. Yes, and this, yes, this girder that you see coming
7 over -- not over Mr. Smales' head but in that general
8 direction there and the vertical bit which is leaning,
9 that appeared to have been blown out of the crosscut in
10 the direction from No. 2 roadway to No. 1 roadway.

11 Q. I see. So that that was a girder that had
12 originally been in the crosscut?

13 A. Yes.

14 Q. And had been pivoted out?

15 A. Pivoted out, yes.

16 Q. Into the main.

17 A. Yes.

18 Q. So that footing that we see to the left of Mr.
19 Smales, what would be the vertical part of the girder,
20 would have been around on the right of the photograph.

21 A. Yes.

22 Q. All right.

23 COMMISSIONER 35?

24 MR. MERRICK Yes. So that that girder didn't just
25 collapse into the picture as we see it.

MR. BROOKES, EXAM. BY MR. MERRICK

1 A. No, it didn't.

2 Q. The vertical side of it pivoted out into the
3 photograph.

4 A. Yes, that's what appears to have been what happened
5 there.

6 Q. And that's what you were advised?

7 A. Yes.

8 Q. Okay, all right, let's keep going.

9 A. And then as we travelled down in the vehicle, I
10 noticed concrete blocks, rubble against the left-hand
11 side of the No. 1 roadway as we went down. And I was
12 told that these were -- this was the debris from the
13 seals in the crosscuts which were built of concrete
14 blocks. These had been blown out from the direction of
15 No. 2 main roadway, the conveyor roadway, into the intake
16 roadway in which we were travelling and had hit the left-
17 hand wall and had been deposited there.

18 Q. Do you have any photographs that indicate that?

19 A. I think, yes, in Exhibit 59, Photograph 2, is one
20 typical example of that.

21 Q. Okay. Again, to get orientated, that's a
22 photograph, and if we look to the right-hand side of the
23 photograph, we can see the roadway going down.

24 A. Yes.

25 Q. So that's No. 1 Main going down, and the debris that

MR. BROOKES, EXAM. BY MR. MERRICK

1 we see in the foreground is -- Sorry, the crosscut, the
2 No. 1 Crosscut would be off to our right.

3 A. Yes.

4 Q. So that debris would have been blown out of that
5 crosscut to the right and impacted against the far side
6 of the main.

7 A. Yes, that's correct.

8 Q. Okay.

9 A. Now Photograph No. 7 is debris in No. 1 Main at 8
10 Crosscut but the orientation of this photograph looks as
11 if it's been taken from the crosscut.

12 Q. But that is illustrative of the kind of debris that
13 would be in the No. 1 Main.

14 A. Yes, they seem to be the exact concrete blocks and
15 broken stone work there, yes.

16 Q. I'm assuming that that sort of blocks and brick
17 material may well have been what the stoppings had been
18 built up in the crosscut.

19 A. Yes.

20 COMMISSIONER That's pretty heavy material, is it, Mr.
21 Brookes?

22 A. Yes. These stoppings within the crosscuts were
23 built of concrete blocks.

24 COMMISSIONER They're not something you could pick up
25 with one hand or anything like that, would they be?

MR. BROOKES, EXAM. BY MR. MERRICK

1 A. No.

2 MR. MERRICK All right.

3 A. And then we didn't stop at each of these crosscuts.
4 We were travelling in a vehicle and we were saying, look,
5 that's the debris from this particular crosscut. We got
6 down to what had been the air crossing at No. 9 Crosscut
7 and I was a bit lost then because there was no, obviously
8 no air crossing left. I was told that had been
9 destroyed, and this was the debris from -- pointing out
10 sort of the debris on the floor, this was the debris from
11 the actual air crossing and this sort of debris is shown
12 at 42.

13 Q. This would have been shoved off to the side by that
14 point or a little out of the way.

15 A. Sorry, Mr. Merrick?

16 Q. This debris would have been sort of cleared partly
17 out of the way at that point.

18 A. Oh, yes.

19 Q. It wouldn't have been as it fell?

20 A. No, I think not, yes. I think it had been cleared,
21 yes.

22 Q. And is that the same thing we see in Photograph 41?

23 A. Yes, that's the same type of thing, yes.

24 Q. And, again, you are basing this on what you were
25 advised. On this entry, you were accompanied by mine

MR. BROOKES, EXAM. BY MR. MERRICK

1 officials?

2 Q. You had the draeger team.

3 A. Yes.

4 Q. And you say in your report, I think it was Mr.
5 Phillips and --

6 A. Mr. Phillips, yes. There was Mr. Smales, Mr.
7 Phillips, and Mr. Currie, who was the acting mine
8 manager.

9 Q. Yes, and they were the ones telling you this
10 information?

11 A. Yes.

12 Q. Okay, all right, so that's what the air crossing
13 looked like at the end. What else are you showing us?

14 A. Yes, 43 shows the temporary seal that had been put
15 on No. 9 Crosscut.

16 Q. So what we're looking at in Photograph 43 under tab
17 9 is we're standing in the No. 1 Main looking straight at
18 the entry into the Southwest district at the 9 Crosscut.

19 A. Yes, that would be the C-1 roadway.

20 Q. So they blocked that off with plywood covered with
21 plastic sheeting?

22 A. Yes.

23 Q. And then that white tubing would have been coming
24 across into the return airway.

25 A. Yes, that's what I understand, yes.

MR. BROOKES, EXAM. BY MR. MERRICK

1 Q. All right. To vent off or to allow bleeding of the
2 gas in that district, I guess. All right, so that's the
3 stopping at the No. 9 Crosscut.

4 A. Yes. No. 49 is the same sort of thing at 10
5 Crosscut showing the temporary seal that had been put up
6 and debris on the roadway there.

7 Q. That's a lot of debris.

8 A. Yes.

9 COMMISSIONER Photograph 49, is it showing the temporary
10 seals being put up?

11 A. Yes, that would be the seal into the C-1 roadway.

12 MR. MERRICK At 10 Crosscut?

13 A. At 10 Crosscut.

14 COMMISSIONER Okay, thank you.

15 MR. MERRICK It was in place by the time you got there?

16 A. Yes.

17 Q. Okay. What other --

18 COMMISSIONER There's some confusion there, Mr. Merrick,
19 because there are now two Photograph 49s. In Exhibit 59,
20 there's a Photograph 49.

21 MR. MERRICK Yes.

22 COMMISSIONER That's what threw me off a bit.

23 MR. MERRICK Okay, that's something that may happen in
24 that the numbers on the photographs under tab 9 are the
25 numbers that were originally placed on the -- They have

MR. BROOKES, EXAM. BY MR. MERRICK

1 come out of the collection of photographs compiled by the
2 RCMP. That's their numbering system. And the ones in
3 Exhibit 59 are numbered merely in sequence according to
4 the big plan on the map. So we've overlapped
5 occasionally.

6 COMMISSIONER Okay, okay.

7 MR. MERRICK I think what we'll do is keep it straight
8 on the record by making sure which exhibit we're
9 referring to each time.

10 COMMISSIONER Yes, that would help, yeah.

11 MR. MERRICK Okay. All right, what's your next
12 observation that you made?

13 A. Well, I was shown, again, a piece of concrete in No.
14 10 Crosscut which had been blown in the direction of the
15 No. 2 conveyor return roadway, so that where all the
16 other crosscuts from 8 up had gone from the return
17 roadway to the intake roadway, the one at No. 10 Crosscut
18 had come the other way.

19 Q. All right, so that had blown from the No. 1 into the
20 No. 2?

21 A. Yes. Then just below inbye of No. 10 Crosscut, this
22 was a bit confusing to me because corrugated sheet
23 cladding, some of it bent around this portion in the
24 outbye direction which seemed contrary to the evidence
25 from the arches in that area which is shown on Photograph

MR. BROOKES, EXAM. BY MR. MERRICK

1 57 of this main.

2 Q. In Exhibit 59?

3 A. No, in the main.

4 Q. Yes, you're right, okay. I'm getting confused
5 myself. We're under tab 9, Exhibit 73, Photograph 57.

6 A. Yes.

7 Q. Oh, I see.

8 A. These supports here appeared to be leaning downhill
9 in the inbye direction and the cladding in that
10 particular area seemed to have been bent in that
11 direction also.

12 COMMISSIONER Would you know, is that photograph being
13 taken towards the roof from the floor of the mine, floor
14 of the roadway, or --

15 A. I don't know. It appears to be taken from a higher
16 level, I would have thought, but I'm not sure about that.

17 MR. MERRICK But the girders are leaning one way and
18 the cladding is bent the other way.

19 A. Yes.

20 Q. What's your explanation for that?

21 A. Well, it's not easy to explain, but the cladding
22 material, under the forces we're talking about to move
23 these very heavy supports, it's relatively light material
24 and it could have been the way that it was bent by the
25 movement of these arches. But I can't really explain it

MR. BROOKES, EXAM. BY MR. MERRICK

1 fully.

2 Q. All right. You say though that in reference to
3 this, and this is at paragraph 4.7 of your report, just
4 the last two sentences of that paragraph: "In the area
5 about 175 feet inbye of No. 10 Crosscut..." So you've
6 got in past No. 10 Crosscut inbye.

7 A. Mmm.

8 Q. "...the blast appeared to have moved the girder
9 supports in the inbye direction."

10 A. Yes.

11 Q. And that's what this photograph is indicating, is
12 they're leaning in the inbye direction.

13 A. Yes.

14 Q. But cladding sheets in this area had been impacted
15 in the inbye direction, although we see some here going
16 the other way.

17 A. Yes.

18 Q. All right.

19 A. Sort of bit of confusion about what had actually
20 distorted the cladding sheets in that whole area.

21 Q. Can that be explained by this business of the
22 different forces that can happen during an explosion and
23 how they may be coming back out and moving lighter items?

24 A. Yes, it may be a possible explanation. That's the
25 sort of thing that might happen.

MR. BROOKES, EXAM. BY MR. MERRICK

1 Q. All right, what other observations did you make?

2 A. Well, then I took samples of dust, just a few
3 samples, in this intake roadway and these are listed in
4 the tables that I give in the report, Tables 1, 2 and 3.
5 And it was at this stage that we're sort of having a
6 general look around mainly and looking for stuff to
7 collect. But then it was suggested that -- The draeger
8 team by this time were in the return and it was suggested
9 that it would be safe for us to go through into the
10 return roadway and just in the vicinity of between 9 and
11 10 Crosscuts and just have a look at that area, which we
12 did.

13 I observed that the conveyor structure in the region
14 between 9 and 10 Crosscuts had suffered some damage and
15 it was pointed out to me at 9 conveyor drive -- 9
16 Crosscut that the conveyor drive unit had been displaced
17 towards the No. 2 conveyor return and had moved slightly
18 inbye. Photograph 41 of Exhibit 59, which shows the
19 damage to the belt structure.

20 Q. Just let me get myself oriented here. We're looking
21 down the roadway. We've got a lot of pieces of cladding
22 material in the foreground. I see in the background what
23 looks to be a metal frame tipped over on its side.

24 A. Yes.

25 Q. Is that what you're talking about?

MR. BROOKES, EXAM. BY MR. MERRICK

1 COMMISSIONER That's not this here, is it?

2 MR. MERRICK No, a little more in the centre, back in
3 the background.

4 COMMISSIONER Okay, I've got it.

5 MR. BROOKES It looks as if the -- It's difficult to
6 tell from this photograph, but it looks as if the
7 conveyor structure is being sort of blown, disintegrated
8 just in that area.

9 MR. MERRICK Yes, and that's what the structure would
10 have been made of, that kind of metal bracing.

11 A. Yes.

12 Q. All right. Okay.

13 A. And then, and I haven't got a photograph of this,
14 but just outbye of No. 10 Crosscut, I noticed some of the
15 flexible ventilation ducting, the sort of plastic-type
16 ducting that was used in the ventilation of the entries,
17 such as the SW 2-1 entry and throughout the mine. There
18 was some of this type of ducting there, not being used.
19 It had probably been left as the mine had developed, and
20 this quite often happens with the ventilation ducting
21 might just be left even though it's no longer required at
22 that point. I observed that that had been completely
23 burned out. There was just the spiral supporting wire
24 left, which suggested to me heavy burning in that area.

25 Also a cable I noticed on the left-hand side of the

MR. BROOKES, EXAM. BY MR. MERRICK

1 roadway that had part of its covering burned. And from
2 previous experience, I know that quite often cables that
3 have been involved in explosions, the type of heavy
4 rubber-covered cable may not even show signs of burning
5 to the naked eye, so I suggest that there might have been
6 some heavier burning there in that region.

7 Q. All right, and those are your observations apart
8 from sampling?

9 A. Yes, I also saw what I thought to be coke coal dust
10 spattered on the flange of the conveyor structure just
11 inbye of No. 9 Crosscut. And I took a sample of that
12 dust, but later on I was unable to confirm, for reasons
13 that perhaps I can give later on, I was unable to confirm
14 that it was, in fact, coke. But in appearance, it looked
15 to be coke.

16 Q. Okay, now we come to the samples themselves. You
17 can put the photographs aside. Tell me about the
18 sampling that Mr. Dooley did, Mr. Dooley and his draeger
19 team did for you.

20 A. Yes, initially, as we had been advised that we
21 weren't going to be able to go into the conveyor return,
22 the No. 2 roadway, I asked or it was said to me that Mr.
23 Dooley and his team of draegermen would be willing to
24 take samples on my behalf in that stretch of roadway if I
25 told them what type of samples I required. So I asked

MR. BROOKES, EXAM. BY MR. MERRICK

1 Mr. Dooley if he would do this and I said if you can
2 possibly get the samples from the vertical webs of arches
3 or any vertical surface, that would be the best place to
4 take them, or from conveyor rollers which would be quite
5 clean while they were working and would be relatively
6 clean so that any dust that settled out onto them would
7 be post explosion dust in the main. So those were the
8 types of samples that I asked him to get, which indeed he
9 did as far as he was able, but he wasn't -- I found out
10 subsequently that those types of surfaces that I had
11 suggested weren't always readily available for him to
12 take the samples, but nevertheless the samples that he
13 did take I found very useful after explosion in the
14 investigation.

15 Q. How did he collect the samples and by what means did
16 he get them?

17 A. He brushed them into a plastic bag.

18 Q. Individual plastic bags?

19 A. Yes.

20 Q. All right, and how did he get them to you so that
21 you would know where he had taken them?

22 A. Yes, when we returned to the surface, he gave me the
23 bags which were numbered, which he had identified by a
24 number, and he read out to me the location at which he
25 had taken the sample and I noted, made a note of these.

MR. BROOKES, EXAM. BY MR. MERRICK

1 In fact, the numbers that I give in the table are the
2 numbers that Mr. Dooley gave to me.

3 Q. So that when we come to your tables, Samples Nos. 1
4 through 20 are the samples taken by Mr. Dooley.

5 A. They are, yes.

6 Q. And when he read out to you the locations from which
7 he took those samples, I notice at the back of your
8 report, Figure 2, you've got a diagram of the No. 1 and
9 No. 2 Main.

10 A. Yes.

11 Q. With locations. Those are approximately --

12 A. Yes.

13 Q. This not being a --

14 A. He didn't specifically measure the exact location of
15 the sample, but that didn't really matter too much. He
16 said that he had taken them at regular intervals between
17 No. 10 Crosscut and No. 8 Crosscut. So the numbers,
18 again, are roughly regular spacing.

19 Q. And he would have told you what surface he took them
20 off and where he got them?

21 A. Yes, the descriptions he gave to me. I give them in
22 the Table 1.

23 Q. Are you satisfied with his collection method?

24 A. Yes.

25 Q. All right. You took some samples yourself.

MR. BROOKES, EXAM. BY MR. MERRICK

1 A. Yes, sir, I took a few samples in the intake road.
2 And in order not to confuse my -- If I was going to
3 identify them, I didn't want to put numbers on my bags.
4 So at that stage I didn't know how many samples that Mr.
5 Dooley would be taking so I numbered my samples by
6 letter. But in order to make it more simple, when I put
7 these into tables, I later gave them a number of my
8 samples.

9 Q. Now in addition to taking coal dust samples, and the
10 samples that you took again are located on your diagram
11 Figure 2.

12 A. Yes.

13 Q. You took Samples Nos. 21 through 24.

14 A. Yes.

15 Q. And Sample No. 33.

16 A. That's right, yes.

17 Q. And, in addition, you collected pieces of other
18 items other than coal dust samples.

19 A. Yes, I took, as I mentioned, earlier, in the sort of
20 typical investigation we tried to pick up materials that
21 will show signs of burning. And so I was looking in the
22 No. 1 Road, in the intake road, for samples of that
23 nature. And so samples which are numbered No. 25 - 31
24 are listed in the table.

25 Q. All right. So these are other kinds of things. So

MR. BROOKES, EXAM. BY MR. MERRICK

1 in total, exhibits -- samples numbers 21 through 33
2 inclusive you took, some of them being coal dust, some
3 being other kinds of things?

4 A. Yes. Yes.

5 Q. And the last bunch of samples that are logged in
6 your tables, you received a variety of samples from Mr.
7 Smales over a period of time?

8 A. Yes.

9 Q. Had you requested --

10 A. Uhm --

11 Q. Sorry, had you requested any of those --

12 A. No.

13 Q. -- additional samples?

14 A. No, I hadn't. But Mr. Smales -- Mr. Smales made
15 various entries into the mine afterward, and during the
16 course of these entries he collected or took the
17 opportunity of collecting samples which he thought would
18 be useful to me and sent them over to me. And, in fact,
19 those did quite often prove very useful in the areas
20 outside which I had been. And they had -- yeah, some of
21 the samples were in the No. 2 return roadway further
22 outbye than the draegermen were.

23 Q. Okay. Let's talk about what you did with the coal
24 dust samples to begin with. You would have sieved them,
25 as you say, in your report?

MR. BROOKES, EXAM. BY MR. MERRICK

1 A. Yes.

2 Q. So each individual sample would have been sieved
3 between the two sieve sizes?

4 A. Yes.

5 Q. Why were you trying to get that particular range of
6 sample?

7 A. Well, I was going to examine them by means of a
8 normal light bench-top microscope with a magnification up
9 to about x 50. And that range of particle size which I
10 selected, that is between 125 and 250 microns, I have, in
11 my experience, found that that's a handy size to examine,
12 a convenient size to examine and that it will read and it
13 shows well. If you get particles below that size or very
14 fine dust, they are much more difficult to examine by
15 this microscopic means.

16 Q. And what are you looking for?

17 A. I'm looking for signs of burning of the coal
18 particles, signs that they have been affected by heat,
19 have been in some cases converted to coke. And this is
20 an indication that they've been involved in the
21 explosion, that obviously they've been heated, the
22 volatile material has been burnt off, and part of the
23 residue of the carbon is being burned to produce a coke-
24 like structure.

25 Q. And when you would look through the microscope,

MR. BROOKES, EXAM. BY MR. MERRICK

1 you've got two plates at page 14 and 15 of your report,
2 Plate No. 1 is, I take it, dust particles or coal dust
3 particles that have not been exposed to heat or burning?

4 A. That's correct, yes. The --

5 Q. How do you know that?

6 A. Because I -- this was a sample of solid coal that I
7 picked up myself at Westray from -- in the region of No.
8 9 Crosscut where there was a coal surface. And I broke
9 some of the coal off in lump form. And I ground that
10 coal and sieved it through the same size sieve, so that I
11 would have a comparison of what was unburnt coal to coal
12 that had been involved in the explosion.

13 Q. And this plate that we see, Plate No. 1, is what you
14 would actually see when you were looking through the
15 microscope?

16 A. Yes, these photographs were taken on my behalf at
17 the laboratory in Sheffield of the Health and Safety
18 Executive using their electron microscope, but at low
19 magnification comparable with the magnification that I
20 used. These particles wouldn't appear that size to me.
21 It will be still smaller than that. That is another
22 enlargement of the photograph. There's a scale given on
23 the photograph which shows you the sort of size.

24 Q. All right. So that's unburnt coal?

25 A. And -- well, if I could mention the -- that unburnt

MR. BROOKES, EXAM. BY MR. MERRICK

1 coal, if you look at those sort of square sort of
2 rectangular sharp-edged type particles which is typical
3 of crushed coal.

4 Q. All right. And Plate 2 shows another sample --

5 A. Yes.

6 Q. -- shows one of the samples from Westray?

7 A. This is, yes, Sample 9 from Table 1 which I took
8 from Westray. And that, in my examination, I estimated
9 that about 90 percent of the actual particles of that
10 sample showed signs of burning.

11 Q. And you know that because of the appearance of those
12 particles?

13 A. And if you look at those particles, you see that
14 they're more rounded and they're a rougher type surface.
15 That's typical of the coke appearance. And there are
16 little holes you can see in them where the volatile
17 material is blown out through the surface of the
18 particle.

19 Q. All right. And so you did that with each of the
20 samples?

21 A. Yes.

22 Q. You had --

23 COMMISSIONER This would be methane that was previously
24 trapped in there?

25 A. Yes.

MR. BROOKES, EXAM. BY MR. MERRICK

1 COMMISSIONER Okay.

2 A. Yes. And other -- the other gases that we
3 mentioned --

4 COMMISSIONER Okay.

5 MR. MERRICK Now in your table you log occasionally
6 stone dust particles.

7 A. Yes.

8 Q. Whether or not you also have found stone dust
9 particles in your coal dust sample.

10 A. Yes.

11 Q. I take it we should not give any significance to the
12 amount of stone dust that you did or did not find?

13 A. No, because I must say that when I first examined
14 the coal dust samples, in the majority of cases I didn't
15 see any sign of stone dust at all. But the -- I found
16 that the particle size of the stone dust that was used at
17 Westray was, in fact, below the particle size that I was
18 examining. So it wasn't -- there was no significance in
19 that. It meant that I wouldn't be finding coal -- stone
20 dust particles in those samples except the odd one that
21 might have just been a little bit above the normal size.

22 Q. Assuming that the stone dust being used at Westray
23 was of the particle size you were told, you may well have
24 been sieving it out, so there wasn't left in the sample
25 that you would analyze?

MR. BROOKES, EXAM. BY MR. MERRICK

1 A. Yes.

2 Q. I understand.

3 A. Yes.

4 Q. All right. Now let's -- having done that on the
5 dust samples, and I take it on the other samples that you
6 looked at, like pieces of rope, string, belt, that sort
7 of thing --

8 A. Yes.

9 Q. -- you were looking for any signs of burning?

10 A. Yes, that was the objective looking at those
11 samples, yes.

12 Q. And examining them, if necessary, under the
13 microscope?

14 A. Yes.

15 Q. All right. Now taking all of those samples, let's
16 go to your table and you tell me what you're able to
17 conclude as to where, in that portion of the mine that
18 the samples were taken from, flame travelled during the
19 explosion?

20 A. Well, if we look at the samples at the number intake
21 roadway, that's Table 3 --

22 Q. Yes?

23 A. -- the sample 25 which was a piece of synthetic rope
24 fiber which was hanging from the roof -- I think we had
25 to climb up onto something to get that particular one,

MR. BROOKES, EXAM. BY MR. MERRICK

1 outbye of No. 8 Crosscut. It was -- it appeared
2 blackened and might have given one the impression that it
3 was burned, but, in fact, when it was cleaned up, I found
4 that it wasn't burnt. It was some deposit -- stuff that
5 had been deposited post-explosion -- during the
6 explosion. So that that indicated from that one sample
7 that there wasn't burning in that area.

8 The similar sample at 9 Crosscut, between 8 and 9
9 Crosscut, showed that the sample was badly burned, the
10 fiber ends swollen. Again, at 9 Crosscut, similar
11 material was burned. Between 9 and 10 Crosscut plastic-
12 covered cables -- a cable was burned. Wood splinters
13 below 175 feet below 10 Crosscut had fiber tips burned.
14 So this gave me an indication of where flame had been and
15 where flame hadn't been. But by the time -- so it was
16 obviously all around 9 and 10 Crosscuts that had
17 obviously been burning there.

18 But on this No. 1 intake roadway, when I got out to
19 take a sample between No. -- or the sample I examined, I
20 think that was one of Mr. Smales' samples that he sent to
21 me, that was between 5 and 6 Crosscuts, Sample 41, I
22 found that again one of the synthetic rope samples,
23 although dirty, when I cleaned it up, wasn't burned. And
24 the other rope which I deduced to be nylon fiber was only
25 very slightly affected. On nylon fibers you get a little

MR. BROOKES, EXAM. BY MR. MERRICK

1 bit of melting because the melting point of the nylon is
2 only round about 100 degrees, say, and it had been very
3 slightly affected. So that indicated to me that no --
4 there's no great extent of flame beyond about 5 Crosscut.

5 Q. All right. You --

6 A. But I must make the point that that's based on two
7 samples at that point. Normally we would have more
8 samples around that area if possible.

9 Q. Let me come at it this way with you, you did the
10 same thing with each of the coal dust samples,
11 determining which ones were coke or what percentage were
12 coke.

13 A. Yes.

14 Q. And I take it when we see in your Table 1,
15 percentage coke up into the 70s, 60s, even as high as the
16 50 range --

17 A. Yeah.

18 Q. -- percentage, does that indicate to you that flame
19 has been in that area?

20 A. Oh, yes.

21 Q. Yeah. So that any time we see any significant
22 percentage of coked material, that would indicate flame?

23 A. Yeah.

24 Q. All right. Taking all of the samples in total and
25 having looked at them as you have, and we can look at the

MR. BROOKES, EXAM. BY MR. MERRICK

1 tables ourselves, what -- let me ask you this, what is
2 your opinion as to what portions of the mine, the main
3 mine tunnels, Nos. 1 and 2, were exposed to the flame at
4 the time of the explosion?

5 A. Well, in the number two return roadway, there was
6 indication that flame had gone certainly up to -- I think
7 it was No. 2 Crosscut.

8 Q. Yes?

9 A. Yes, I'll just check that point. And that in the --
10 no, No. 1 Crosscut, that was the furthest sampling point,
11 those indicated the passage of flame. So that's in the
12 No. 2 return --

13 Q. So that was right up almost to the portals --

14 A. Right up to the portal.

15 Q. -- and maybe to the portals?

16 A. Yeah. That was the furthest sample that I had been
17 supplied with, so --

18 COMMISSIONER No. 2 return?

19 A. In No. 2 return. So -- but definitely up to that
20 point.

21 MR. MERRICK So that would corroborate and be
22 corroborated by any witnesses' statements that we may
23 hear that they actually saw flame shooting out of the
24 portal?

25 A. Yes.

MR. BROOKES, EXAM. BY MR. MERRICK

1 Q. All right.

2 A. That would be right, yes. Yes, and in No. 1 intake
3 roadway I deduced that the, from the samples that were
4 taken, that the flame or the effects of the heating from
5 the flame had probably filled most of the roadway in the
6 region between No. 8 and 9 Crosscuts and up to about 175
7 feet inbye of No. 10 Crosscut, which was as far as I
8 examined. And just based on two samples, Nos. 25 and 41,
9 the flame or hot products were greatly reduced, I had
10 deduced, in the region about 100 feet outbye at No. 8
11 Crosscut. And by the time you got up to No. 5 Crosscut,
12 that's where the nylon fiber showed the very slight sign
13 of heating, the effects of flame were negligible at that
14 point.

15 COMMISSIONER So from about here out [indicating on
16 chart] there was few signs of burning then on the --

17 A. On the intake.

18 COMMISSIONER -- on the intake, yeah.

19 A. Yes.

20 COMMISSIONER Okay.

21 MR. MERRICK When you say that you only found signs of
22 burning that short distance inbye on No. 1, you're not
23 suggesting that it stopped there; that was just the limit
24 of your investigation?

25 A. That was the limit of the examination, yeah.

MR. BROOKES, EXAM. BY MR. MERRICK

1 Q. Okay. And how about in No. 2, indications -- what
2 degree of indications that flame would have gone down No.
3 2? You say that you got indications of flame as far out
4 as No.1 Crosscut in No. 2.

5 A. Yes. I don't think I -- what I've got here --

6 Q. Your furtherest -- your deepest sample, the most
7 inbye sample, I guess, on No. 2 would have been -- the
8 one that you were able to read was Sample No. 2. But,
9 again, I take it that that was purely because the --

10 A. Yes, it was limited by the samples we could obtain
11 in that area.

12 Q. Okay. Let me ask you this, if that -- your opinion
13 is that flame travelled that far out in an indeterminate
14 distance inbye on both mains, what is your opinion as to
15 whether at that point, over the areas of the mine that
16 you were able to examine or take samples, that coal dust
17 was involved?

18 A. In my opinion that by that time it had developed
19 into a coal dust explosion.

20 Q. And what do you base that on?

21 A. Because the flame had extended these great distances
22 and, in my opinion, it couldn't be accounted for by a
23 methane explosion, because you would have had to have
24 great length of roadway fouled by a methane-air mixture.
25 But if you had methane coming out of the Southwest area,

MR. BROOKES, EXAM. BY MR. MERRICK

1 because of the greatly increased ventilation flow in the
2 main roadway, particularly the No. 2 conveyor road, you
3 would have diluted that gas probably below the flammable
4 limit. That's assuming that even if it got to that
5 point.

6 Q. So that you conclude that because of the extent of
7 the area covered by the flame --

8 A. Yeah.

9 Q. -- there must have been something more than methane?

10 A. Yes.

11 Q. And to what extent is your opinion corroborated by
12 your observations of physical damage?

13 A. Yes. Well, the physical damage in what I observed
14 could have been caused by a methane-air explosion alone.
15 I couldn't say that was definite evidence of a coal dust
16 explosion in that area. But the evidence, hearsay
17 evidence, provided by draegermen and the -- after the
18 explosion, of the extent of damage in the Northeast --
19 no, Northwest and Southeast Mains, that's down at the
20 bottom end there, was consistent with a coal dust
21 explosion travelling down the return and developing in
22 speed. And the severe burning of the men in the D Road
23 there was consistent with a prolonged period of burning
24 consistent with a cloud of coal dust burning. And the
25 extreme damage reported was consistent with the dust

MR. BROOKES, EXAM. BY MR. MERRICK

1 explosion gathering pace as it went down the incline.

2 Q. To what extent did you draw any support from your
3 observations of that burned duct tubing that you
4 described to us where just the wire was left?

5 A. Yes, I had -- we had in the investigation of the
6 explosion at Golborne Colliery in 1979 there was similar
7 type ducting. I couldn't say that it was exactly the
8 same ducting, but similar type electrical ducting
9 involved in that explosion which was completely burned
10 out. Again, it was ducting that wasn't in use, had been
11 left in the roadway. And we suspected that in that
12 particular explosion, the pattern of the explosion, that
13 it had started off with a rich methane air mixture. When
14 I say "rich," I mean in the -- towards the upper limit,
15 maybe about 13 percent methane with air. A flame had
16 developed in a mixture of that type and had moved down a
17 roadway. But subsequently that gas had been cleared by
18 the ventilation and had left what we presumed was burning
19 material possibly in the roof of the roadway.

20 And the second stage of a two -- there were two
21 stages in the explosion. The second stage of the
22 explosion was that the gas moving into this roadway from
23 a long entry had been diluted to somewhere in the 9
24 percent region and that you -- that when this gas met the
25 burning material left, there was a much more violent

MR. BROOKES, EXAM. BY MR. MERRICK

1 explosion which went either way.

2 But to get to the point, the ducting was burned out
3 and I conducted some experiments on this ducting by
4 subjecting it to flame in a six percent, a nine percent
5 and a 13 percent methane air mixture. And only in the 13
6 percent mixture did the complete burning of the ducting
7 material take place which indicated -- was a kind of
8 proof in that particular investigation that this slow
9 burning, rich body of methane had actually burned this
10 ducting and had gotten down to this particular part of
11 the roadway. And so tying that observation into the
12 piece of ducting that I saw near 10 Crosscut in the
13 conveyor return, that suggested to me that if the
14 materials were similar, which I thought they were, that
15 heavy burning had occurred there, and that that wouldn't
16 have been accounted for by a fast-moving methane air
17 flame which would cause the damage of the type that I
18 saw. If the burning had been done by methane-air
19 burning, it would have been done by a rich methane air
20 mixture which wouldn't have created the violence and
21 damage that was apparent in that area.

22 Q. Was also in that area?

23 A. Yes.

24 Q. One last question on this topic. Is it your opinion
25 that by the time the -- assuming the explosion came out

MR. BROOKES, EXAM. BY MR. MERRICK

1 of the Southwest district, is it your opinion that by the
2 time that it came out and hit the mains at the 9 and 10
3 Crosscut, that it was coal dust explosion at that point?

4 A. Yes.

5 Q. All right. That's the end of that point, Mr.
6 Commissioner.

7 COMMISSIONER All right. We'll recess an hour, back at
8 1:30 so we can adjourn at four. Okay? Thank you.

9 INQUIRY RECESSED (TIME: 12:34 p.m.)

10 INQUIRY RESUMED (TIME: 1:31 p.m.)

11 COMMISSIONER Mr. Merrick?

12 MR. MERRICK Now, Mr. Brookes, you have provided us
13 with your opinion as to over what areas of the mine flame
14 travelled, what areas of the mine that you were able to
15 examine that flame travelled. You've also given us your
16 opinion as to whether at those portions of the mine the
17 explosion was at that point involving coal dust. Have
18 you looked as well at other information and evidence
19 relating to the explosion?

20 A. Yes, I've looked at reports provided by the
21 draegermen in the post-explosion investigation and also
22 in the examination made by the RCMP in September, 1992.

23 Q. All right, and the reports of the draegermen, that
24 would be the interview statements that were given and are
25 in the possession of the Inquiry.

MR. BROOKES, EXAM. BY MR. MERRICK

1 A. Yes.

2 Q. Of the draegermen involved in the rescue.

3 A. Yes, sir.

4 Q. And the RCMP are the RCMP records that have been
5 recently made available to the Inquiry and that were
6 provided to you.

7 A. Yes.

8 Q. Did you look at other reports as well?

9 A. I looked at some of the other consultants reports.

10 Q. What about the autopsy reports?

11 A. Pardon?

12 Q. What about the autopsy or chief medical examiner's
13 reports?

14 A. Yes, I've seen copies of those, yes.

15 Q. All right. Based on all of that information, in
16 addition to the evidence that you yourself gathered or
17 had gathered and analyzed, do you feel that you are able
18 to develop an opinion as to how this explosion actually
19 initiated and then propagated through the mine?

20 A. Yes, I can make an assumption about the actual
21 development of the flame and some assumptions about the
22 possible source of ignition, but I wouldn't be able to
23 say definitely that one particular source of ignition was
24 the cause of the explosion.

25 Q. All right. What I would ask you to give us is your

MR. BROOKES, EXAM. BY MR. MERRICK

1 opinion as to how you do believe the explosion initiated
2 and occurred to the extent that you can draw conclusions
3 or form opinions.

4 A. Yes. I think the most significant part of the
5 information that I read, apart from the general
6 directions of blast, those were, if I may deal with those
7 first, the evidence within the Southwest district, the
8 blast was in the direction of the No. 1 intake roadway
9 and the No. 2 conveyor return. That was based on the
10 statements by three of the people who were in the area,
11 presumably draegermen, after the explosion. And I give
12 references to those people at the bottom of the page of
13 my report.

14 Q. This is page 20?

15 A. I'm referring now to page 20.

16 Q. Yes, and I should indicate that the portions of the
17 transcripts of those interviews that are referred to
18 there are attached in Exhibit 44 which is a booklet that
19 goes with Mr. Brookes' report. I won't get you to go
20 through them now with me. We'll just identify that they
21 were the sources, unless you want to point out anything
22 particular.

23 A. That was the first thing. The blast appeared to be
24 from the Southwest district towards the No. 1 intake and
25 the No. 2 conveyor return. The No. 2 conveyor return

MR. BROOKES, EXAM. BY MR. MERRICK

1 outbye of No. 9 Crosscut, it was in the outbye direction
2 as witnessed by the ejection of a steel door at the
3 portal. That was information that was given to me, and
4 I've seen a photograph which maybe shows that door, but I
5 can't say I actually saw that door.

6 In the No. 2 conveyor return, inbye of No. 10
7 Crosscut, it was in the inbye direction, although there
8 was some contradictory evidence in the region just outbye
9 of No. 11 Crosscut.

10 So we've got indications of blast coming out of the
11 Southwest this way, up the return roadway to the portal
12 that way, also up the intake road to the portal,
13 witnessed by the damage to the cladding at the portal.
14 And then the evidence of the blast direction inbye of 10
15 Crosscut in No. 2 conveyor return. For that, I give
16 accord to Mr. Cheverie in a statement published on the
17 7th of August, 1992 when in the North Main going down
18 these roadways, it was generally in the inbye direction
19 and the references to those, Mr. Hudson, Mr. Muise,
20 Hillier, MacNeil.

21 So that gives me the general picture that it started
22 somewhere in this Southwest working area and came down
23 these roadways, divided when it hit the main returns,
24 travelled outbye to the portals and inbye to the North
25 Mains, northwest and southeast workings.

MR. BROOKES, EXAM. BY MR. MERRICK

1 I think the most significant information that I was
2 given, and it's also covered by the medical examiner's,
3 chief medical examiner's report, is that the men in the
4 SW 1-2 heading, the six men employed there at the
5 position of the continuous miner and the roof bolter in
6 the left-hand roadway, had obviously had some warning
7 that something was happening because they had had time to
8 move down that roadway in an outbye direction and were
9 obviously trying to don their self-rescuers while doing
10 this. So this is apparent that something had warned them
11 and they had time to move. The actual distance at which
12 they moved were given in some of the draegermen's
13 statements, and also in a plan that I saw provided by the
14 RCMP. Naturally, under the conditions on which they were
15 operating immediately after the explosion, there were
16 some discrepancies in the kind of quotations of distance
17 or estimates of distance that those men had moved, but
18 they varied from 50 feet up to 220 feet. And the
19 references I give to those estimates of distance are also
20 given on my report at page 21.

21 It's difficult to say from that how long it would
22 take them to actually move those distances under the
23 conditions that prevailed or what had caused them to try
24 and get out of that area. I made a rough estimate myself
25 of struggling along trying to get out a self-rescuer and

MR. BROOKES, EXAM. BY MR. MERRICK

1 how long it would take to, say, cover about 100 feet and
2 I thought the order of time would be 10 seconds, which it
3 doesn't sound very much but it's quite a considerable
4 time, if you think about 10 seconds.

5 So my conclusion from that was that they had seen
6 some or probably seen some sort of flame develop and it
7 was probably in a methane roof layer of the type that
8 we've been talking about earlier, and it may have started
9 off burning slowly and they saw a flickering or flame
10 moving about in that general region, saw something was
11 happening, and decided to get away as quickly as
12 possible. But the flame developed and may have actually
13 passed over them while they were attempting to escape.

14 Evidence that this may have happened is that these
15 men, the six men in that SW 2-1 heading there suffered
16 superficial burns which suggest that they were heated
17 from above to the face and head and they were overcome by
18 carbon monoxide poisoning and must have been knocked out
19 fairly quickly by this, by breathing in this gas.

20 The carbon monoxide is produced in the reaction when
21 methane burns. If you don't get complete combustion; in
22 fact, if there isn't sufficient oxygen to burn the whole
23 of the methane, if you have percentages of methane air
24 below nine and a half percent, anything from that down to
25 the low limit concentration of five percent, you usually

MR. BROOKES, EXAM. BY MR. MERRICK

1 get complete reaction so that the whole of the methane is
2 burned and the product then of the methane combining with
3 the oxygen is carbon dioxide plus water. Those are the
4 products of the combustion.

5 But if the mixture is richer than the nine and a
6 half percent, as you would probably get in a layer,
7 particularly if it was a rich mixture and burning slowly,
8 without complete combustion taking place, you would get
9 this carbon monoxide produced which is, of course, a
10 deadly poisonous gas. And this is what --

11 So my picture of these men trying to get away,
12 they're getting part way down the roadway, but then the
13 flame developed in this layer and the turbulence caused
14 by the initial flame starts to mix the gas so that the
15 mixture of gas comes lower in the roadway, starts to burn
16 more quickly and, indeed, may have passed over them as
17 they made their way down the road. The products of the
18 combustion, the carbon monoxide then hit them. They
19 breathe that in and fell on the spot.

20 In this scenario, the flame would develop moving
21 faster as it came down to the open end of the entry. If
22 there were cavities present, it may have produced
23 turbulence which would bring gas out of those cavities
24 because of the rising heat and combustion and convection
25 and so that you start to get a rolling flame, and the

MR. BROOKES, EXAM. BY MR. MERRICK

1 progression of that flame would be faster, and by the
2 time it got down to the intersection and into the SW 1-A
3 and SW 2-B Roads where the conveyors were situated, or
4 perhaps at the intersection, there would be enough gas
5 mix so that the whole roadway might be filled with a
6 flammable mixture at this point.

7 And then you would get a more violent explosion down
8 these two roadways and that violence would continue,
9 perhaps picking up any gas from other cavities or any gas
10 that was in those roadways in the form of a layer mixing
11 it and increasing in violence until it reached the C-1 or
12 B Road there, particularly the B Road where the conveyor
13 is situated.

14 And presumably somewhere along the conveyor road,
15 it's difficult to say exactly where, but it would start
16 to pick up the coal dust and develop into a coal dust
17 explosion.

18 By this time, the supply of methane may have run out
19 so that by the time it reached the main roadway, and by
20 this time it was developing considerable violence, it
21 would be mainly probably a coal dust explosion which
22 destroyed the crossing point at the No. 9 Crosscut.

23 And from there, the flame would go both ways down
24 the conveyor road towards the North Mains and out this
25 way to the portals.

MR. BROOKES, EXAM. BY MR. MERRICK

1 At the same time, the flame, parallel flame, would
2 be travelling down the SW 2-A Road into the C-1 Road
3 here. It's difficult to say how much flame would be
4 involved or violence there, but if it was mainly in the B
5 road, these crosscuts would be blown out and the shock
6 wave would travel down the C-1 Road into the 10 Crosscut
7 so that you get two explosion flames or two pressure
8 waves at least, a flame in one and a pressure wave in the
9 other, which meet in these roadways and transfer in each
10 direction. There would be some turbulence and mixing at
11 this point where the two waves reached the return roadway
12 there.

13 Then, in my estimation, the explosion flame having
14 reached the main conveyor road here would be self feeding
15 by coal dust in both the outbye and inbye directions, and
16 the coal dust explosion would travel down these roads
17 with a fairly long run-up time increasing in velocity and
18 increasing in pressure until it finally hit these
19 headings here. And the people in these headings would
20 have probably had no warning of or very little warning of
21 what was going to happen to them as witnessed by some of
22 the statements in which they were still holding roof
23 bolts and had obviously been taken completely by surprise
24 as opposed to the men in the Southwest here.

25 There would be considerable after burning of the

MR. BROOKES, EXAM. BY MR. MERRICK

1 coal dust particles which would cause severe burning to
2 the men as opposed to just superficial burns of the men
3 here. And this also is evidence to me that a coal dust
4 explosion, indeed, had taken place and transferred right
5 down into these workings of the Northwest and into the
6 Southeast here causing the great deal of damage that was
7 reported to have occurred.

8 To go back to the SW 2-1 heading, the possible
9 source of ignition -- Do you wish me to continue with
10 that, Mr. Merrick?

11 Q. Yes, please.

12 A. There would possibly be the continuous miner and
13 there is evidence that this seam, the Foord seam, does
14 contain iron pyrites. There's a band of 12 centimetres
15 shown in the general geological plan of the seam, but
16 that doesn't necessarily mean it was there. I'm saying
17 it might have been there. One cannot be sure that it was
18 there but that would, if it was there and the picks were
19 blunt as we've discussed already, that may have been a
20 possible source of ignition.

21 There was a roof bolter in the left-hand heading
22 here, but the evidence from the rescue teams afterwards
23 and the RCMP report was that no steel drills were fitted
24 and it appeared that those bolters were not working.
25 But, as I pointed out in my report, it doesn't rule out a

MR. BROOKES, EXAM. BY MR. MERRICK

1 passible electrical source of ignition, not that I know
2 that anything was happening in that way.

3 The other possibility is the bolter in the
4 continuation of the SW 2-B Road here. But, again, the
5 report was that no drills were actually in the machine,
6 and it didn't appear that actual drilling was taking
7 place. In that situation, if there were drilling, the
8 possible source is another frictional ignition, but I
9 think that that situation can be ruled out by the fact
10 that no drills were fitted in the bolting machine. But,
11 again, it doesn't rule out that some kind of electrical
12 work was going on which could have been the source of
13 ignition.

14 The men in that particular heading, the B Road,
15 didn't have the warning that the men in this road
16 apparently had. There were five men found in this
17 roadway. There was a report I saw that one of the men,
18 the particular one right at the face at the bolting
19 machine had perhaps tried to make an attempt to put his
20 self-rescuer on. I believe a self-rescuer was found on
21 the floor near there and he may have had a little more
22 warning than the men who were found further out. Two of
23 these men, I believe, were from a boom truck which was
24 situated at the junction there.

25 In fact, just to recoup a moment, back to the SW 2-1

MR. BROOKES, EXAM. BY MR. MERRICK

1 roadway, and the supposition that there may have been
2 sparking at the continuous miner. There were reports
3 previous to the explosion of sparks being seen when the
4 cut picks were working at the face. There were several
5 reports I saw, two of them I've listed in my report.
6 MacNeil, for example, states that he saw sparks being
7 generated by the cutter picks from the face and which he
8 attributed to dull picks and a vein of pyrites in the
9 seam. That was obviously at some earlier stage in the
10 mining process before the explosion. But it's interesting
11 that he attributed it to dull picks, which as I said
12 earlier in my evidence, that the experiments that were
13 done to ignite methane air by striking iron pyrites were
14 done with dull, blunt picks.

15 And Robinson also saw sparks, he says, from stone
16 and pyrites in the seam. So there is evidence that on
17 previous occasions there had been sparking seen and that
18 there was pyrites in the seam. But no one, to my
19 knowledge, had ever seen an ignition of gas, I must point
20 that out.

21 Quite often, if I can just digress a moment from the
22 actual description of the explosion while I think about
23 this, in United Kingdom mines, certainly around about
24 1980 and earlier, I'm not talking about their present
25 situation, but there would be anything of the order of 20

MR. BROOKES, EXAM. BY MR. MERRICK

1 to 30 ignitions of gas on the coal face while machines
2 were in use. These were mainly due to striking the
3 quartzitic rock where we've talked about, but these were
4 reported ignitions and they didn't amount to very much,
5 fortunately. There would be a little flash and a small
6 flame of a few meters long. But, nevertheless, these
7 ignitions had to be reported and we were sent the
8 details. But, as far as I'm aware, no ignition of gas
9 was reported at Westray.

10 Q. I take it, Mr. Brookes, that it is not likely that
11 sparks themselves, the sparks that you would see, might
12 be the ignition of methane if it's in the area. But if
13 you have got pyrites and dull picks, you may be getting
14 the other ignition mechanism that you described this
15 morning.

16 A. That's right, yes.

17 Q. All right, thank you. I mentioned the miner, the
18 continuous miner, I mentioned the bolting machines as
19 possible sources.

20 Now the other possible source of ignition was the
21 boom truck situated at the intersection of these two
22 roadways. It was parked across the intersection and
23 initially when I, three years ago when I was writing my
24 report, I didn't consider that as a possible source.
25 It's only by the light of later information that the team

MR. BROOKES, EXAM. BY MR. MERRICK

1 that went in with the police in September of '95 -- '92,
2 sorry, September of '92, the evidence was that the boom
3 truck might have been left with the engine running. It
4 was described by Mr. Bossert's report, which I've
5 referenced, as a non-flameproof diesel engine or diesel-
6 powered machine. So that is another possible source of
7 ignition.

8 The mechanism to cause an explosion by the boom
9 truck would be somewhat different to the type of
10 explosion that I've outlined for one emanating at the
11 continuous miner. In this case, a layer of gas that Dr.
12 McPherson talked about coming around the roadway there
13 and reaching -- or coming up this roadway here and
14 reaching this junction, could have been mixed by
15 turbulence due to the presence of the boom truck at that
16 place. But if the engine was running, to the heat
17 generated from the machine, which the heat would rise and
18 produce convection currents so that you'd get some
19 circulation and there is the possibility that under those
20 conditions that gas could be brought out of the layer and
21 down to a point of ignition on the boom truck. Mr.
22 Bossert, in his report, outlines various possible sources
23 of ignition from that boom truck and included in those is
24 sparking from alternator brushes, hot manifold or exhaust
25 pipe or catalytic converter or delayed ignition in the

MR. BROOKES, EXAM. BY MR. MERRICK

1 exhaust system or methane being drawn into the inlet of
2 the machine and a backfire occurring which would put
3 flame out of the exhaust or the intake. So that these
4 are the possible sources of ignition that he outlined.

5 COMMISSIONER Perhaps just to clarify one point here for
6 me, if you would, Mr. Brookes. There's been a lot of
7 talk about the boom truck. You might not be the right
8 person to ask this of, but I will anyway and please defer
9 if you feel you should, but this boom truck, it was just
10 a run-of-the-mill diesel truck with no particular
11 modification for underground operation. Am I correct on
12 that?

13 A. Yes.

14 COMMISSIONER So you could have seen the same thing at
15 the intersection of some street somewhere.

16 A. Yes.

17 COMMISSIONER Okay. Thank you.

18 MR. MERRICK Have you ever seen that kind of thing
19 before in a mine in England where they would drive a
20 diesel-powered truck up close to a face like that with no
21 flame or safety safeguards?

22 A. No, I wouldn't have thought. I mean, my experience
23 of mining is really in investigations, but certainly
24 within those investigations, I never saw anything like
25 that. And I think it very unlikely that anything like

MR. BROOKES, EXAM. BY MR. MERRICK

1 that would be allowed in a British mine.

2 Q. Recognizing that your background is investigations
3 and not mining, what if you had happened to be walking up
4 that roadway in Westray knowing that it was a working
5 mine and knowing that there was a working face just up
6 there and you saw a diesel truck sitting in that
7 intersection running? What would you do?

8 A. Well, yes, I wouldn't be very happy with that
9 situation, I'm sure.

10 Q. Okay. Just while we're on the point of the diesel
11 truck, one of the possible sources of ignition on that
12 truck was the hot exhaust.

13 A. Yes.

14 Q. I'm talking here about the exhaust itself, not
15 necessarily methane being drawn in through the ignition
16 system and then burned through the exhaust?

17 A. Well, and both things according to Mr. Bossert.

18 Q. I know. But what's your opinion on whether the
19 exhaust itself would be sufficient to ignite methane?

20 A. Well, that is a difficult question for me to answer
21 because I have no direct experience of --

22 Q. All right.

23 A. But I might just add to that that if the actual
24 exhaust -- we're talking about the metal of the exhaust,
25 presumably, it would have to be glowing red -- glowing

MR. BROOKES, EXAM. BY MR. MERRICK

1 red hot to -- you need that sort of temperature of
2 surface to ignite the methane, temperature of about 537
3 degrees at least. But, again, I'm no expert on diesel
4 equipment, but from what I've gathered is that if you
5 draw methane into the inlet of such a machine that you do
6 get a much hotter product within the exhaust system.

7 Q. All right. All right, continue with your --

8 A. Yeah.

9 Q. -- explanation of your --

10 A. So this is -- it must be included as a possible
11 source of ignition. If that happened, the path of the
12 explosion would be somewhat different if it were ignited
13 there as opposed to up there because in this case the
14 flame, if there was a layer in the SW 2-1 roadway, the
15 flame would be running into the entry and not out, as
16 opposed to an ignition at the top of the entry.

17 And this raises a question in my mind as to what
18 would be the reaction of the men in that heading.
19 Presumably, if the ignition occurred down there and they
20 did get some warning of it, those men would fear flame
21 coming towards them. And maybe -- their only one way out
22 though is to run towards the outlet, but that would be
23 towards the flame. And it's questionable in my mind
24 anyway what you would actually do. I think they're more
25 likely, if they saw a flame at the head of the entry near

MR. BROOKES, EXAM. BY MR. MERRICK

1 the machine, they're more likely to be running to get
2 away from it. But that is only my opinion.

3 Again, if we leave that for a moment, if we go back
4 to the ignition supposition that it occurred at the mine
5 or at the top of the heading, I've already said --
6 explained how that would develop down the roadways by
7 mixing gas from layers and from cavities and gradually
8 producing a mixture in the roadway and progressing outbye
9 towards the main road. Well, if it occurred at the
10 junction, something similar -- if it was in a layer and
11 the flame licked back from the boom truck to the layer
12 and a layer down the SW 2-B Road was ignited, the same
13 sort of conditions would prevail that it would gradually
14 develop into a full-scale methane explosion and then
15 follow the same course as before, developing into a coal
16 dust explosion at some later stage before it got to the
17 main roadways. So the only significant difference there
18 would be, between those two sources, would be the
19 direction of travel of flame in the actual SW 2-1 entry,
20 but from there on I think the pattern would be fairly
21 similar.

22 When I first thought about this, I thought if the --
23 the big thing, the gas from the SW 2-1 entry, the mixing
24 had created the mixture at the junction and that was
25 where the main body of gas was ignited, that would be the

MR. BROOKES, EXAM. BY MR. MERRICK

1 -- what we used to call the "quiet zone," and I think Dr.
2 McPherson explained this. The center of the explosion is
3 quite often the place where you will get the least damage
4 because the explosion is travelling away from that area.
5 And, indeed, there seemed to be little damage to the boom
6 truck or little damage in that area.

7 Q. Indeed, if we look again at that photograph that we
8 were looking at earlier through the piece of the heading
9 with the boom truck in it -- let me just see if I can
10 call it up. Yeah, it's Photograph 25 from Exhibit 59.
11 That piece of vent piping that's slung in the low side of
12 that roof, it obviously -- I assume if there was much
13 violence involved in that area, it would have disturbed,
14 dislodged -- whether it would have burned or not, but it
15 probably would have knocked that tubing down.

16 A. Sorry?

17 Q. Looking at that tubing in that photograph --

18 A. Yes.

19 Q. -- I assume that because it's still there and hasn't
20 been knocked down, that it would indicate that nothing of
21 much violence occurred right up in there?

22 A. Yes. Yes, that's correct.

23 Q. And we also notice the steel mesh that's been put
24 around the walls, et cetera, not much sign of damage in
25 there?

MR. BROOKES, EXAM. BY MR. MERRICK

1 A. No.

2 Q. Indicating, picking up on your last point, that that
3 heading must have been somewhere close to the place where
4 the explosion initiated?

5 A. Yes, that seems likely. Although I must say that if
6 a flame had travelled in towards the top of that heading,
7 you -- in that case you wouldn't have expected much
8 violence produced by a burning layer going towards the
9 closed end of that heading.

10 Q. Just a burning layer?

11 A. Yeah.

12 Q. But if the explosion had occurred any distance from
13 that Southwest heading, and I'm thinking if for any
14 reason there were a point of ignition further down the
15 flame then would start to run up there and into that
16 heading, it would be gathering force?

17 A. Yes.

18 Q. And that if you get your point of ignition too far
19 away from that heading, you're going to get violence up
20 in that heading?

21 A. Yes. Yes.

22 Q. So that that tells us that we can't go too far from
23 the area of relatively undisturbed heading?

24 A. No.

25 Q. Including the junction here?

MR. BROOKES, EXAM. BY MR. MERRICK

1 A. No.

2 Q. All right, thank you.

3 A. There is a point that, having -- while we're looking
4 at that photograph, there is some conjecture as to why
5 that piece of ducting up there wasn't burned. And I've
6 already said that there's probably a small flame at the
7 base of the layer that was only burning slowly and not
8 mixing fully with the total gas available there. But
9 another point is that if you look at that photograph and
10 it --

11 COMMISSIONER 25?

12 A. -- at 25, yes, and also -- well, it's also -- also a
13 diagram is shown in Mr. Farrell's report, Sketch 5.

14 MR. MERRICK This is -- you're now looking in
15 Exhibit --

16 A. Exhibit --

17 Q. -- 44.

18 A. -- 44, yes.

19 Q. What page up in your corner?

20 A. Page 0 -- it's page 0-100.

21 Q. Just let me catch up to you here. Yes?

22 A. You see that the roof of that roadway is inclined so
23 that the left-hand side is much higher than the right-
24 hand side, so that if a layer formed there, the thinnish
25 part of the layer would be at the side where the ducting

MR. BROOKES, EXAM. BY MR. MERRICK

1 is, and that may be another point as to why the ducting
2 didn't burn because you've got little -- only a thin
3 layer in that position.

4 Q. All right. Is there anything else that you want to
5 tell us?

6 A. There's just one point. On page 24 and I'm
7 suggesting that the explosion would have progressed --
8 propagated preferentially possibly along the B conveyor
9 road. The -- I put that the conveyor passes through a
10 belt seal in the B Road just inbye of the SW 1-2
11 Crosscut. I think that's somewhere there.

12 Q. Yes.

13 A. I've actually found that it was originally on a plan
14 I saw described as a belt seal but it is, in fact,
15 plywood covered opening there, but it doesn't alter the
16 basis of what I've said, that that obstruction would
17 result in increased turbulence. It's not a complete
18 seal. It's a space where the belt can pass through, but
19 it's put there to stop too much short circuiting of the
20 air in the crosscut so that the turbulence there would
21 perhaps be responsible for raising coal dust into the
22 air, which would add to the general initiation or
23 propagation of the coal dust explosion.

24 Q. All right.

25 COMMISSIONER May I just ask a brief question here, Mr.

MR. BROOKES, EXAM. BY MR. MERRICK

1 Brookes? You've been -- this isn't by way of criticism,
2 but you have been speaking on this explosion now for
3 about a half an hour. Can you put it in context from
4 this point, if we accept the fact that the point of
5 ignition was up in here, how long would it have taken or
6 can you hazard a guess how long it would have taken for
7 that explosion to get up to the portals?

8 A. A matter of seconds, I would say.

9 COMMISSIONER That's what I -- yeah.

10 A. It raises a point which I could make at this stage.
11 The crosscuts, the concrete crosscuts, between the main
12 roadways were blown out as we've already said, and they
13 don't need a great deal of pressure, it's the static
14 pressure produced by the explosion that pushes those out,
15 but with some violence. And the -- an estimate of that
16 sort of pressure might be around a third of an
17 atmosphere. But if we assume that it was one atmosphere,
18 the over pressure was, say, one atmosphere, which would
19 throw the concrete or break it up and throw it violently
20 against the left-hand side of the No. 1 intake, that sort
21 of pressure correlates with a flame speed of about 150
22 meters per second which probably people will appreciate
23 if I say getting on for 340 miles an hour. So that's the
24 speed that flame would be travelling out of the mine.

25 COMMISSIONER So the --

MR. BROOKES, EXAM. BY MR. MERRICK

1 A. So --

2 COMMISSIONER So the entire event would have been over
3 in less than 10 seconds or so?

4 A. Yes, I think that's quite --

5 COMMISSIONER Okay.

6 A. I'm just thinking there --

7 COMMISSIONER Yeah.

8 A. -- I said 150 meters per second. That was only a
9 guesstimate, really, of what --

10 COMMISSIONER Sure.

11 A. -- it might have been. It might have been faster
12 than that, but that would take, say, about four seconds
13 from the region of 9 Crosscut to reach the portal.

14 COMMISSIONER Yeah, okay.

15 A. So the -- yes, the estimate of 10 seconds after it
16 had developed --

17 COMMISSIONER Yeah.

18 A. -- of the -- It is perhaps of the right order.

19 COMMISSIONER Thank you.

20 A. It may have been even faster going down into the --

21 COMMISSIONER Down in the North, eh?

22 A. -- North Mains and probably was.

23 COMMISSIONER Yeah.

24 A. I mean, speed --

25 MR. MERRICK That would be that run-out principle that

MR. BROOKES, EXAM. BY MR. MERRICK

1 you were talking about?

2 A. Yes. Speed is of, again, it's just a pure
3 speculation. I have no evidence for this, but from
4 experimental explosions, you can get speeds of, say,
5 1,000 meters per second in a coal dust explosion, in a
6 burning-type explosion so that, you know, that's the sort
7 of 1000 meters --

8 Q. All right.

9 A. -- probably less than a second to get to that.

10 Q. Of the various possible actual sources of ignition
11 that you've identified, I take it, you, in your own mind,
12 are satisfied that you can pinpoint the most likely one?

13 A. Yes. If I were to put them in order of things --

14 Q. Yes.

15 A. -- I would put the continuous miner first and the
16 bolter second -- the boom truck second and the bolter
17 third.

18 Q. All right. One question that came out of your
19 answers, you said to us that carbon monoxide, that if
20 methane is burned at a low concentration of about nine
21 percent down to five, that it is usually carbon
22 dioxide --

23 A. Yes.

24 Q. -- and water that's produced?

25 A. Yes.

MR. BROOKES, EXAM. BY MR. MERRICK

1 Q. Carbon monoxide is not produced --

2 A. No.

3 Q. -- when it's burning in that range?

4 A. No.

5 Q. And that if it's burned at a concentration from nine
6 percent up to 15 percent, that's when carbon monoxide is
7 usually formed?

8 A. Yes.

9 Q. Something I hadn't known but taking that to be case
10 then, if the men up in the Southwest district died of
11 carbon monoxide, then the methane that was burning in
12 that area must have been at those higher concentrations?

13 A. Yes. That seems to be likely, yes.

14 Q. Again, I suppose, tending to support the mechanism
15 of a fairly concentrated layer of methane?

16 A. Yes.

17 Q. All right. Thank you. Okay, let me bring you to
18 one other question. I've just got a couple of more
19 topics for you here quickly. You've investigated a
20 number of disasters. In this particular one we may never
21 be able to say with certainty whether it was the
22 continuous miner or the bolter or whatever.

23 A. Yeah.

24 Q. But in light of all the evidence you know of the
25 Westray disaster and the evidence that we now have as to

MR. BROOKES, EXAM. BY MR. MERRICK

1 the various conditions that were leading up to the
2 disaster, what do you say as to how significant it is
3 that we may never be able to pinpoint the exact location?

4 A. Well, I don't think -- I mean, it's nice to be able
5 to answer the question and, I mean, from the
6 investigator's point of view and being able to say that
7 this was the point where it started and to explain it
8 fully which was always our aim, but I think in this case
9 it's not a great deal of significance to actually know
10 what the igniting source was. I think the point is that
11 the igniting sources were there available and the fuel
12 was there, was available. And those two produced a
13 deadly mixture. You've got to have the two of them to
14 produce the explosion.

15 Q. I suppose then that the significant features here
16 are that, (a) there were in fact ignition sources
17 available and fuel available. And what is now
18 significant is not necessarily pinpointing the exact one
19 but what were the conditions that led to that?

20 A. Yes, I would agree with that. Yes.

21 Q. All right. I would like to ask you about stone
22 barriers for a moment because English mines have had
23 considerable experience with them. They've been required
24 by law since about the early '60s?

25 A. Yes, they came into use primarily to protect

MR. BROOKES, EXAM. BY MR. MERRICK

1 conveyor roads which were difficult to protect by stone
2 dusting alone, and they have been legally required in the
3 U.K. mines since the early '60s.

4 Q. In your experience and based on what you know, how
5 effective would you say that the use, widespread use of
6 stone barriers in England, has been in minimizing the
7 effects of ignitions that have occurred?

8 A. Well, in actual ignitions they -- they have been
9 limited because there haven't been any coal dust
10 explosions except one that I personally know of. And in
11 that particular explosion, it was evident from our
12 examination that coal dust had begun to be involved in
13 the explosion and it -- the pressure wave struck a
14 barrier of stone dust. And the flame was stopped almost
15 immediately. Within 20 feet of that barrier, the
16 explosion was killed, stopped. And the barrier was
17 smashed, the wood was smashed and everything down the
18 roadway. The shock wave went on and gradually attenuated
19 and petered out. But that was a successful operation of
20 a barrier which prevented a coal dust explosion
21 developing.

22 Q. Which explosion was this?

23 A. This was way back in 1962, Mainsforth Colliery.

24 Q. But this was then a graphic example -- so you say
25 you had evidence that prior to hitting the barrier, it

MR. BROOKES, EXAM. BY MR. MERRICK

1 was not only methane but coal dust --

2 A. Yes.

3 Q. -- in the explosion?

4 A. Yes.

5 Q. Hits the barrier and within that distance came to --
6 that was the end of it?

7 A. Yes.

8 Q. What do you say as to whether stone dust barriers
9 are practical in a room-and-pillar operation?

10 A. I would imagine they're difficult to operate in an
11 actual room-and-pillar system. But not impossible. The
12 main roadways leading to the room-and-pillar developments
13 could be protected by the barriers. The main problems I
14 think are the -- following the development and quite
15 labour intensive, I suppose, erecting barriers and trying
16 to keep up with the development of the face. But there
17 are other possibilities such as water barriers which are
18 now superseding stone dust barriers. And these operate
19 on the same kind of principle that the shock wave from
20 the explosion tips the barrier, but instead of putting
21 stone dust into the air, it puts water into the air. And
22 these are easier to maintain, easier to erect. You've
23 got light plastic polystyrene tanks which are easily
24 smashed by an explosion, pressure wave or shock wave and
25 the water from them is dispersed into the air and acts as

MR. BROOKES, EXAM. BY MR. MERRICK

1 a heat sink the same way as the stone dust acts.

2 Q. And I suppose that they're more maneuverable so that
3 you can actually --

4 A. Yes.

5 Q. -- move them around in a room-and-pillar --

6 A. Yes, you're not carrying lots of stone dust baggage
7 down the mine. You're -- you can get water from the main
8 system.

9 Q. And when you say protecting the main areas, in your
10 view then they could have been practically used here at
11 the entrance to the Southwest district in the C-1 and B
12 Roads?

13 A. Yes. I must say that I have no practical experience
14 or -- nor a deep knowledge of the position of stone dust
15 barriers except to say in general that I know they're
16 usually used to protect areas near the working face. But
17 they're also used to protect areas round the junction
18 where a road, say, from the Southwest area there, round
19 these junctions will be to protect it. You have one in
20 that C-1 Road, say, or the B Road there and on other side
21 of the junction.

22 Q. Oh, yes. So you put them right around the junction
23 like --

24 A. Yeah.

25 Q. I follow you.

MR. BROOKES, EXAM. BY MR. MERRICK

1 A. Yeah.

2 Q. Let me ask you for a moment about the inspectorate
3 in England.

4 A. Yeah.

5 Q. Your mines are inspected by regulatory officials?

6 A. Yes.

7 Q. And I would assume generally in the same type of
8 jurisdictional review that we have here in Nova Scotia,
9 in that they are to be inspected as to the safety of
10 operation, et cetera?

11 A. Yes.

12 Q. The inspectorate is part of the government?

13 A. Yes. In fact, the -- I think -- well, maybe we
14 didn't mention but the -- I worked, as I said, at the
15 Safety in Mines Research Establishment which became part
16 of the Health and Safety Executive in 1975 and was
17 renamed the Explosion and Flame Laboratory of the Health
18 and Safety Executive. And that, after 1975, we became
19 the Safety Research Establishment for the whole of
20 industry, not just mining.

21 But when that body was set up, the Health and Safety
22 Executive, all the inspectors, including the mine
23 inspectors, the factory inspectors, explosive inspectors,
24 pollution inspectors, all came within that one group so
25 that the mines inspectors were in the same Health and

MR. BROOKES, EXAM. BY MR. MERRICK

1 Safety Executive as the Research Lab and, again, they
2 could call on our help.

3 Q. What qualifications would you need to become a mines
4 inspector?

5 A. I believe they have to have been a manager or
6 undermanager of a mine for at least two years.

7 Q. Indeed. So they would have had to have the mining
8 certification --

9 A. Yes.

10 Q. -- that would have been required --

11 A. Yes.

12 Q. -- for a manager or undermanager?

13 A. Yes.

14 Q. Underground manager?

15 A. Yes.

16 Q. And they would have had to have also had the period
17 of time practical experience?

18 A. Yes.

19 Q. That's a pretty well qualified mine inspector.

20 A. Yeah, they were very highly qualified people and
21 very highly paid people.

22 Q. Is that right? Well, I guess one goes with the
23 other. And there would be various levels of inspectors,
24 I take it?

25 A. Yes, they would be recruited as -- with the title

MR. BROOKES, EXAM. BY MR. MERRICK

1 Mines Inspector; that could progress to "Senior District
2 Inspector and Principal Inspector and Deputy Chief and
3 Chief.

4 Q. But at your lowest level you had to have that
5 minimum certification --

6 A. Yes.

7 Q. -- and experience?

8 A. Yes.

9 COMMISSIONER Can I carry that one point further, Mr.
10 Merrick? And I don't know whether I'm on the right track
11 or not, but in the U.K. would the majority of your mine
12 managers and undermanagers have been mining engineers?

13 A. Oh, yeah. Well, I think they all would.

14 COMMISSIONER Okay. So to extend further then, not only
15 would a -- well, not only but the person who is the mine
16 inspector would have to be a mine manager or an
17 undermanager --

18 A. Yes.

19 COMMISSIONER -- who would also have had to have been,
20 to get to that position, would have to qualify as
21 professional mining engineer?

22 A. Yes, indeed.

23 COMMISSIONER Yeah, okay.

24 A. And, in fact, if I may add that there were a lot of
25 people in the industry who had those qualifications who,

MR. BROOKES, EXAM. BY MR. MERRICK

1 because of the limited number of opportunities, would not
2 be perhaps managers or --

3 COMMISSIONER Yeah.

4 A. -- undermanagers.

5 COMMISSIONER I see. Okay, thank you.

6 MR. MERRICK In the investigation of a disaster that
7 would occur there, just give me a brief overview, if you
8 will, as to the role of the inspectorate in becoming
9 involved in the investigation?

10 A. Yeah. The inspector would really take charge of the
11 mine, be in charge of the investigation under the
12 jurisdiction of the chief inspector and that's where we
13 came into the picture. We would be -- if we were
14 required to help, we would be called in by the chief
15 inspector and would give scientific help to the
16 inspectors. But they really took charge of the mine from
17 the moment the disaster occurred.

18 Q. So the rescue efforts, the investigation, would be
19 under their ultimate responsibility --

20 A. Yes.

21 Q. -- and control?

22 A. Yes.

23 Q. They would have jurisdiction as well, I assume, to
24 cease the mine or to impound --

25 A. Yes.

MR. BROOKES, EXAM. BY MR. MERRICK

1 Q. -- pieces of evidence --

2 A. That's correct, yes.

3 Q. -- or equipment?

4 A. Yes.

5 Q. So that I'm just trying to think of what would
6 happen in a British mine disaster in the moments
7 afterwards. The inspector would arrive, and there would
8 be no doubt about it, that's the person that would have
9 the ultimate responsibility?

10 A. Yes.

11 Q. So people wouldn't be walking around sort of
12 informally doing things?

13 A. No.

14 Q. Okay. Those are all the questions I have for you,
15 Mr. Brookes.

16 COMMISSIONER Thank you. Mr. Roberts?

17 EXAMINATION BY MR. ROBERTS

18 Q. Just one question, Mr. Brookes. Employees working
19 at the surface of the mine at the time of the explosion
20 reported hearing two distinct percussive sounds, a boom
21 followed by a louder boom virtually instantaneously but
22 quite distinct. I'm wondering how that fits with your
23 scenario of the propagation of the explosion?

24 A. Yes, it's a difficult one for me to answer. The
25 second sound may have been from some sort of reflection

MR. BROOKES, EXAM. BY MR. ROBERTS

1 or -- of a shock wave hitting some object and coming out
2 at a later stage than the first blast. But, you know,
3 that's just an opinion.

4 MR. ROBERTS Thank you.

5 COMMISSIONER Mr. Hebert?

6 EXAMINATION BY MR. HEBERT

7 MR. HEBERT With respect to the explosion within the
8 Southwest section and the possible centre of the
9 explosion, I'm having a little bit of difficulty
10 understanding, and I appreciate that you didn't do a
11 detailed investigation into that area, and you can only
12 rely on what you've been told and what you've observed
13 through photographs and such. But it strikes me that
14 there's two possibilities, or maybe an infinite number,
15 and that there might have been an initial explosion at
16 the boom truck or perhaps further on down at the
17 intersection of the B Road with the Southwest 2-B road.
18 And I think those were raised by an earlier witness.

19 A. Sorry, I'm not -- You're saying that is what I
20 suggested?

21 Q. No, I believe an earlier witness, Mr. McPherson, had
22 suggested that that might have been one of the areas,
23 that the flame could have gone overhead. I'm not talking
24 about the ignition of the methane.

25 A. No.

MR. BROOKES, EXAM. BY MR. HEBERT

1 Q. This question is based on my understanding that
2 there's a distinction to be made between the ignition of
3 methane and the point where an explosion occurs.

4 A. Oh, I see, yes. Yes, I get your point, yes.

5 Q. I take it that's a valid distinction, is it?

6 A. Yes, it's the sort of point I made that if you get
7 the initial ignition in the layer and that travels down
8 near the roof gradually mixing and getting lower, that
9 the turbulence created by that flame could produce
10 mixture that filled the roadway, and if that mixture was
11 in the flammable range, and say, for the sake of example,
12 might be round about nine percent, which is the most
13 violent or the mixture to give the most violent
14 explosion, that's when you would really get the main bang
15 starting.

16 Q. Okay. Now I take it that that point is equally
17 difficult to determine based on the information that you
18 have available to you.

19 A. Yes.

20 Q. Where that occurred?

21 A. Yes.

22 Q. But would it be true that no matter where it
23 occurred, that the shock wave from that would progress in
24 whatever direction was available to it?

25 A. It would, yes.

MR. BROOKES, EXAM. BY MR. HEBERT

1 Q. All right. Just looking at the rough distances, if
2 you will, if you look at the Southwest 2-B Road where it
3 intersects with the main B Road, if you will, which is
4 the return airway into the Southwest, maybe you can just
5 indicate with your light on the map just to make sure
6 we're at the same point.

7 MR. MERRICK You may want to use the upper half. It's
8 slightly bigger detail.

9 MR. HEBERT Okay.

10 A. It's that one, isn't it?

11 Q. I think that's the A Road. Southwest 2-B Road would
12 be the one up above it.

13 A. Oh, that's the B Road, yes.

14 Q. Now if we keep going back to the intersection of the
15 Main B Road where the light is, if an explosion, a
16 methane explosion, if you will, had taken place there,
17 and it strikes me that that's about the same distance out
18 to the main return or the main intake as it is back into
19 by the boom truck.

20 A. Yes.

21 Q. Would you not expect that there would be a similar
22 force applied in that area as a consequence of the
23 explosion as would have occurred at the intersection of
24 the intakes in No. 9 and No. 10 Crosscuts?

25 A. I'm not sure I grasp your question on that point.

MR. BROOKES, EXAM. BY MR. HEBERT

1 Q. All right, I guess I'm just trying -- We know that
2 there was a great deal of damage, energy, violent energy
3 directed right at the No. 9 and No. 10 Crosscuts.

4 A. Yes.

5 Q. Now it strikes me as a lay person that if, in fact,
6 there was a methane explosion which was triggered around
7 where the light is flashing now at the intersection that
8 we described earlier, that there should be an equal force
9 applied back into the Southwest 2 area.

10 A. Yes.

11 Q. And whether that would have been as a result of
12 additional coal dust or just the force of the methane
13 itself, it strikes me that there should be a similar
14 level of damage back the same distance away from that
15 centre as at the No. 9 and No. 10 Crosscuts.

16 A. Yes, I think that's feasible, yes.

17 Q. So the fact that there isn't the same level of
18 damage back by the boom truck and into the Southwest
19 section, would that somewhat mitigate against accepting
20 that location at the intersection as a possible source of
21 the explosion?

22 A. Yes, I would think so, yes.

23 Q. Which would mean that the main area of explosion
24 would have to have occurred back more towards the
25 Southwest.

MR. BROOKES, EXAM. BY MR. HEBERT

1 A. Yes.

2 Q. Okay. Just a couple more questions, sir. With
3 respect to your investigation, you indicated that when
4 you first arrived to conduct your investigation that you
5 were advised that there were dangers and that you
6 shouldn't enter the mine at all. I'm just interested to
7 know who gave you that advice? Who was advising you of
8 this?

9 A. If Mr. Merrick will help me with this one, but I
10 think it was probably the -- Was it the Labour
11 Department?

12 MR. MERRICK I believe, and to just assist the witness,
13 a number of people were advising you against it. There
14 were a group of union members the night before. The
15 Department of Labour was expressing somewhat extreme
16 cautions. In fact, I think they were debating issuing an
17 order and certainly that day we were advised by a number
18 of draegermen, including Mr. Dooley, in rather graphic
19 terms.

20 MR. BROOKES We were, indeed, yes.

21 MR. MERRICK Something you remember.

22 COMMISSIONER We shan't bother getting that into the
23 record.

24 MR. HEBERT I see, okay. So you had mentioned one
25 danger and I think that was the possibility that there

MR. BROOKES, EXAM. BY MR. HEBERT

1 might have been some pockets of carbon monoxide still
2 present which might be expelled.

3 A. Yes.

4 Q. I take it some other dangers might have been roof
5 falls and that sort of thing?

6 A. Yes.

7 Q. Those would be the main dangers?

8 A. Yes.

9 Q. Now, again just a lay person, can we assume from the
10 fact that there was not a propagation of the explosion
11 through the No. 1 intake beyond what we know to the No. 5
12 crosscut.

13 A. No. 5 crosscut, yes.

14 Q. Was that because there was no coal dust present
15 sufficient to propagate?

16 A. Yes, that seems to be the implication, that there
17 wasn't enough dust in that roadway to --

18 Q. Because if there had been enough dust, it would have
19 been propelled or unsettled and taken into the air.

20 A. Yes.

21 Q. Okay.

22 A. Yes, my opinion was that when the crosscuts, the
23 seals were broken by the main explosion coming up the No.
24 2 roadway, that pressure waves would travel through to
25 the No. 1 return and it would be -- the explosion in that

MR. BROOKES, EXAM. BY MR. HEBERT

1 case would not be so much flame but as a pressure wave
2 which would do the damage to the No. 1 portal cladding
3 sheet.

4 Q. Do you know just from your own knowledge of the
5 geology of that area, was that part of the mine in
6 through coal, the entries through coal, or was that
7 through other?

8 A. Well, I can't answer that question completely, but I
9 will say that earlier in my evidence, I said I took a
10 piece of lump coal from the surface near No. 9 crosscut.
11 So there was certainly exposed coal in that area.

12 Q. Okay. Could that also be another explanation as to
13 why the flame wasn't propagated through that area if, in
14 fact, you didn't have a coal sides or coal bed?

15 A. Well, I think the reason probably that it didn't
16 propagate in the No. 1 intake is that you wouldn't get a
17 lot of dust as the air going down that roadway and all
18 the coal is being conveyed out of the No. 2 road. So
19 that you wouldn't expect a great deal of dust in that
20 area.

21 Q. Now in terms of the men that were in the Southwest
22 section, I think your report indicates that at least one
23 might have already bitten down on the self-rescuer?

24 A. Yes.

25 Q. In these circumstances, based on what you know,

MR. BROOKES, EXAM. BY MR. HEBERT

1 would the self-rescuers have provided any protection at
2 all?

3 A. Doubtful, I think, in this situation. You've got to
4 have enough oxygen as well to breathe with that type of
5 self-rescuer. I think they were really basically
6 designed for incidents where fire started somewhere in
7 the mine and carbon monoxide produced would be travelling
8 around in the ventilation stream. In that situation, it
9 would give someone a period of perhaps half an hour to
10 move out of the area.

11 Q. So their chances of survival was really nil in your
12 estimation.

13 A. Yes, I would think so, yes.

14 Q. There was really nothing that they could have done?

15 A. No.

16 Q. Would you have the same opinion if they had ready
17 access to the Oxy-60 self-rescuers, if they were able
18 to --

19 A. They may have been able to survive with those but,
20 then again, I don't know how they would be affected by
21 the burns that they had suffered.

22 Q. But it would have provided them with a source of
23 oxygen, a breathable atmosphere.

24 A. Yes.

25 Q. Now this is probably an obvious question. I don't

MR. BROOKES, EXAM. BY MR. HEBERT

1 have the speed of sound at my fingertips, but I take it
2 that the blast was travelling faster than the speed of
3 sound?

4 A. No.

5 Q. It wouldn't?

6 A. No. It wouldn't -- The speed of sound increases
7 with the temperature of the medium in which it is
8 travelling. So it might be travelling faster than the
9 speed of sound in the normal atmosphere with ambient
10 temperature, but not above the speed of sound that would
11 prevail in those conditions.

12 Q. So would the sound be roughly the same, travelling
13 around the same speed or would there be a perceptible
14 difference from a person -- I'm thinking of the people in
15 the North Mains, for example. Would they have heard
16 something first?

17 A. That could have been a possibility, I imagine, but I
18 think it is very difficult for me to put a figure on
19 that. The difference between them hearing something and
20 the shock wave hitting them would be, the difference
21 would be so slight that they probably wouldn't have had
22 time to react, and that is suggested by, you know, the
23 way they were found.

24 Q. Whatever difference there might have been would be
25 virtually imperceptible.

MR. BROOKES, EXAM. BY MR. HEBERT

1 A. Yes.

2 Q. I take it that the conditions or the possibilities
3 for ignition that you've identified, just from your
4 evidence in your report, that these have all been well
5 known and well documented for a number of decades.

6 A. Yes.

7 Q. And I take it that if anything, and I guess the
8 whole purpose of ventilation in your mine plan is to
9 avoid these known risks.

10 A. Yes, indeed.

11 Q. And, if anything, these known risks increase the
12 responsibility on the mine management to protect against
13 them.

14 A. Oh, yes, that's true.

15 MR. HEBERT Those are my questions.

16 MS. GILLIS I have no questions.

17 COMMISSIONER Mr. Rafuse?

18 MR. RAFUSE Yes, Mr. Chairman, I have one brief
19 question for Mr. Brookes.

20 EXAMINATION BY MR. RAFUSE

21 MR. RAFUSE I'm not certain Mr. Brookes would be able
22 to answer this and, if not, you know, he's certainly
23 welcome to defer on this, but, Mr. Brookes, I realize
24 that this question may be impossible to answer given the
25 very brief opportunity that you had to inspect the mine

MR. BROOKES, EXAM. BY MR. RAFUSE

1 underground. But would it be possible, in lay terms
2 perhaps, to estimate, or more fairly, guesstimate the
3 force of this explosion perhaps referenced to tonnes of
4 TNT?

5 A. No, I couldn't answer that one off the cuff at all,
6 I'm afraid.

7 MR. RAFUSE Thank you, Mr. Brookes.

8 COMMISSIONER Mr. Endres?

9 EXAMINATION BY MR. ENDRES

10 MR. ENDRES I trust my recollection is correct that in
11 your first report in 1992 there was no reference to the
12 boom truck as being a possible source of ignition.

13 A. No.

14 Q. What changed your view on that?

15 A. Well, partly the doubts about the other source of
16 the miner or the bolter. But what I have already said, I
17 think, that the evidence that the boom truck engine was
18 probably running at the time of the explosion made it a
19 possibility. If it had just been parked there, I don't
20 think there would have been that danger.

21 Q. If you can take a look at Exhibit 59 at page 27,
22 there's a photograph of the boom truck.

23 COMMISSIONER What was that number?

24 MR. ENDRES 27, Exhibit 59. You were speaking earlier
25 about the quiet zone around the boom truck and there does

MR. BROOKES, EXAM. BY MR. ENDRES

1 appear to be some debris and damage in that picture.

2 A. Well, it's difficult to say what. It looks like a
3 cable or something that's just fallen down on the side
4 here. There's not a lot of material there. The spots do
5 seem to be intact in what would be the SW 2-1 roadway.
6 There's this sort of stuff around the boom truck is the
7 wire from the ventilation ducting, I presume. There were
8 a few sort of -- I don't know what these things are here,
9 pieces of timber, but --

10 Q. There's some debris there; that's apparent from the
11 photograph.

12 A. Pardon?

13 Q. There's some debris in the photograph shown.

14 A. Yes, but I don't know whether that's stuff that's
15 been left there or discarded or, you know, where it's
16 come from.

17 Q. I see. If you take a look at the photographs
18 showing the faces of the Southwest, we can start with 21,
19 Photograph 21. It seems to be certainly no worse when it
20 comes to damage to the equipment, or am I missing
21 something there?

22 A. No.

23 Q. So that is very comparable in the sense when we're
24 looking for quiet zones. And the same goes for
25 Photograph 22, which is another photograph of the same

MR. BROOKES, EXAM. BY MR. ENDRES

1 bolter, the left-hand face. No obvious damage to the
2 machine there. In fact, there's a drill steel lying
3 still, you can see that, on the left side.

4 A. Yes.

5 Q. And if there had been any force of explosion, would
6 you expect that to be in that position?

7 A. No.

8 Q. If we look at Photograph 24, the continuous miner at
9 the face of the Southwest 2 No. 1 road, do you see any
10 explosion damage there?

11 A. No. Well, there's very little there to be really
12 moved, I suppose. There appears to be little damage or
13 no damage to the --

14 Q. And then we are back to 25 that Mr. Merrick has
15 already pointed out to you.

16 A. Yes.

17 Q. Back of a shuttle car.

18 A. Yes.

19 Q. Again, if I may say so, there's not an appearance of
20 great damage by explosion.

21 A. No.

22 Q. Nor burning.

23 A. No.

24 Q. So we have these, if I can call it that way, quiet
25 zones and they would be identified regularly and

MR. BROOKES, EXAM. BY MR. ENDRES

1 properly, I take it, as perhaps the centre of the --

2 A. Yes, I think the difference there is that, for
3 example, 25. You're near the face of the heading and the
4 same in Photograph 24, you're near the face of that
5 heading. And the same with 22, you're up near the face
6 of a heading. 21. I think what I'm trying to get at is
7 that where the boom truck is situated, you're in kind of
8 an open area. Where the explosion, if it started at that
9 point from a pocket of or an accumulation of gas, the
10 explosion has the opportunity of travelling in several
11 directions, where at a face, it's either travelling
12 toward it or if it was started there, it would be
13 travelling away from it.

14 Q. I take it though all of that does not mean that you
15 would want to change your No. 1 ranking as to the source
16 of ignition.

17 A. No.

18 Q. That just confirms that the face, one of the faces,
19 was the most likely source.

20 A. Yes.

21 Q. Or place of the first ignition.

22 A. Sorry, you're saying that it would confirm?

23 Q. The photographs, they do not undermine your ranking
24 of the source or location of the ignition.

25 A. No.

MR. BROOKES, EXAM. BY MR. ENDRES

1 Q. They confirm your ranking, do they not?

2 A. Yes, I think so.

3 Q. One thing that's been bothering me, the photographs
4 show a lot of grey material. You were down. You were in
5 the mine. Not in that location, of course, but we see a
6 lot of the photographs have this grey material. Is that
7 what you saw when you were in the mine?

8 A. No, I didn't see any -- I think one of the Dooleys
9 said there was a strange grey dust over the area, but I
10 don't know what that was. I can't recall seeing anything
11 like that in the area I was. But in the area where in
12 the No. 1 roadway, stone dusting had taken place by the
13 time we went down. So it wasn't the original condition.
14 And the little bit of the No. 2 return that we saw, the
15 floor was very wet and kind of sludgy there. No, I
16 didn't notice any powder of that description.

17 Q. But the colour of coal we saw yesterday, coal dust
18 is black.

19 A. Yes.

20 Q. It's not grey or a shade of grey.

21 A. Yes, that is a mystery. I don't know really what
22 that was.

23 Q. To what extent, Mr. Brookes, does your inclusion of
24 the boom truck as a possible source of ignition depend on
25 Dr. Brookes' theory about a layer -- Dr. McPherson's

MR. BROOKES, EXAM. BY MR. ENDRES

1 theory about a layer of gas from Southwest 1?

2 A. Yes, it is dependent on that, yeah, on the formation
3 of that layer, yeah.

4 MR. ENDRES Thank you.

5 EXAMINATION BY MR. MERRICK

6 MR. MERRICK Just one re-direct, Mr. Brookes, going
7 through the photographs that Mr. Endres referred you to,
8 I just noticed one thing that I thought I'd get you to
9 comment on. If you start, I think, at -- If we start
10 with Photograph 25, which is the back of the miner, we
11 see that piece of ducting still there.

12 A. Yes.

13 Q. If you then turn to page 26, this is a photograph
14 further back in that same Southwest 2-1 Road and it's
15 looking up toward the back of the shuttle car. We can't
16 see it in the darkness.

17 A. No.

18 Q. But we do see the coils of wire coming out the
19 right-hand side.

20 A. Yes.

21 Q. Which would be the remains of the ducting that had
22 been there further outbye, is that right?

23 A. Yes.

24 Q. And that obviously or we are taking to be the
25 remains after it was burned.

MR. BROOKES, EXAM. BY MR. MERRICK

1 A. Yes.

2 Q. If you can then take a look at Photograph 20, this
3 is the back of the bolter on the Southwest 2-B Road. Do
4 you see that wiring on the left-hand side?

5 A. Yes.

6 Q. Would that be the same kind of wiring?

7 A. Yes, it looks to be like it, yes, in that case with
8 a little bit of the material still left on the support
9 rings.

10 Q. So if we're looking for quiet zones, it would appear
11 that there were certainly at least more flame in that
12 heading at that location than would have existed at the
13 back of the continuous miner.

14 A. Yes.

15 Q. And if we look again at page 21 --

16 COMMISSIONER Photograph 21?

17 MR. MERRICK Photograph 21, that's right, this is now
18 the back of, I think, the Southwest 2-1 Road, view of
19 bolter and the left-hander.

20 A. Yes.

21 Q. And, again, that wiring on the right-hand side of
22 the photograph? Would that be the wiring from the vent
23 tubing?

24 A. On Photograph 22 --

25 Q. 21.

MR. BROOKES, EXAM. BY MR. MERRICK

1 A. Oh. Yes, I would say that was, yes.

2 Q. And that was burned again.

3 A. Yes.

4 Q. Indicating certainly more of a burning action in
5 that area than we would have seen right up by the
6 continuous miner.

7 A. Yes.

8 Q. Are you able to draw any conclusions from that as to
9 whether there was more flame propagated into those
10 headings?

11 A. Well, yes, obviously there must have been more
12 prolonged burning to cause that degree of damage to the
13 ducting in those areas.

14 Q. Bearing in mind your comments about the ability of
15 methane alone to have burned that, are you able to draw
16 any conclusions as to whether that may have been a
17 methane-fuelled flame alone or whether it may have been a
18 methane and coal dust-fuelled flame? I recognize what
19 you told me earlier, that you can burn that ducting if
20 you've got a very rich methane mixture.

21 A. Yes. No, from looking at that degree of damage, I
22 don't think I could say, you know, whether it was just --
23 It could have been just pure rich methane air flame
24 towards the upper limit, slow-burning flame, which is
25 what you might get as you'd approached the face of that

MR. BROOKES, EXAM. BY MR. MERRICK

1 heading if the flame travelled up.

2 Q. But if, indeed, we now have concentrated significant
3 burning going on in, I guess, both this heading and in
4 the heading with the other bolter, and I'm trying to make
5 sure I've got the right headings here, the other bolter
6 in here, is that consistent or inconsistent with your
7 opinion that the flames started here, worked its way out,
8 building as it went and went into other headings?

9 A. No, that's not -- That would be consistent with what
10 I say, yes.

11 MR. MERRICK Okay. That's all I have.

12 COMMISSIONER Thank you, Mr. Brookes.

13 THE WITNESS WITHDRAWS

14 MR. MERRICK That's it for this afternoon.

15 COMMISSIONER We will adjourn until 9:30 on Monday then.

16 INQUIRY ADJOURNED (TIME: 2:59 p.m.)

REPORTER'S CERTIFICATE

I, Margaret E. Graham, Court Reporter, certify that the foregoing is a true and accurate transcript of the evidence taken by way of recording and reduced to typewritten copy.

Margaret E. Graham

DATED this 23rd day of November, 1995, at Stellarton,
Nova Scotia.